

0001

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ADVANCED COAL WORKSHOP FOR WEST COAST COMMISSIONS:

IGCC Technology, CO2 Sequestration
and Policy Directions

May 24, 2006
Sheraton Portland Airport Hotel

0002

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. BEYER: Good morning, I'm Lee Beyer. I'm the chairman of the Oregon Public Utility Commission, and I'd like to welcome you to Oregon -- those of you who don't live here. I hope you enjoy your stay with us. This is the first of what we hope will be a number of joint meetings between the West Coast commissions.

This event was put together by the Oregon, Washington, and California commissions because we share a common goal of developing clean energy resources to meet our electricity needs for the future. We welcome our colleagues from the other western commissions that are here with us today and hope that -- and these -- excuse me -- they've been working with us in forums like this and with the Western Governors Association to develop policies that will accelerate the adoption of clean energy resources. I think we have 11 commissioners here, and I think I'd like to let each of them introduce themselves so that the audience knows who they are. I'll start with my colleague, John Savage.

MR. SAVAGE: John Savage, Oregon Commission.

MS. BYRNES: Mary Byrnes, Wyoming Commission.

MR. BAUM: Ray Baum, Oregon Commission.

0003

1
2
3
4

MS. GRUENEICH: Dian Grueneich, California Commission.

MR. JONES: Phillip Jones, Washington Utilities and Transportation Commission.

5 MS. CHONG: Rachelle Chong, California
6 Commission.

7 MR. MARKS: Jason Marks, New Mexico Public
8 Regulations Commission.

9 MR. PEEVEY: Michael Peevey, California
10 Commission.

11 MR. OSHIE: Pat Oshie, Washington Commission.

12 MR. BEYER: Okay. The purpose of our workshop
13 today is to better understand the policies and the
14 technologies that can make coal a clean energy
15 choice, with the inclusion of carbon capture and
16 sequestration -- and I even said that word right.

17 This workshop came about as a result of the
18 West Coast Governors Global Warming Initiative.
19 The governors of our three states began this work
20 in 2003 because of a serious concern about the
21 consequences of greenhouse gas emissions for our
22 economy and for the environment.

23 Through their initiative, the governors
24 directed the states to do three things: (1) To
25 develop joint policy recommendations for activities

0004

1 that require regional cooperation in action; (2) to
2 develop strategies to reduce greenhouse gas
3 emissions and adapt to a changing climate; and (3)
4 to work together to achieve greenhouse gas
5 reductions that are greater than any state could
6 achieve on its own.

7 Among these achievements so far, all three
8 states have adopted greenhouse gas standards for
9 new cars and trucks, and they've also adopted
10 appliance energy standards for products not covered
11 by federal rules.

12 I want to thank my fellow commissioners and
13 their staffs for helping us put this workshop
14 together today. Special thanks to commissioners
15 Dian Grueneich and Pat Oshie -- Dian of California
16 PUC and Pat of the Washington Utilities &
17 Transportation Commission -- and Commissioner John
18 Savage on the Oregon Commission. They really were
19 the ones who conceived the workshop and did the
20 real thoughtful work to put the thing together.

21 And, of course, behind all policy folks there's
22 a team of staff who really do the hard work and
23 hard lifting to do the logistics, and I want to
24 recognize them, too. Lainie Motamedi -- I'm going
25 to say this -- Motamedi -- thank you, Dian -- of

0005

1 the California Commission; Nicholas Garcia of the
2 Washington Commission; and Lisa Schwartz and
3 Cherie Zastoupil of the Oregon Commission.

4 And we need to pay a special thanks to the
5 Energy Foundation for providing financial support
6 for this event today and, of course, to the
7 speakers who you'll hear from as we go through the
8 day.

9 Again, the intent is to make us all a whole lot

10 smarter about coal and effective use and clean use
11 of that.

12 Okay. A few details before we get into the
13 nuts and bolts of the panel. If you haven't
14 availed yourself of the breakfast that's outside,
15 it's there, and it will be there through the first
16 break. Our intent is to break for lunch at about
17 11:45 this morning. We'll also have a refreshment
18 break in the afternoon.

19 More nuts and bolts -- if you haven't found
20 them yet, the restrooms are sort of out the door to
21 the right. Lunch is out that way in a room down
22 the hallway a little bit. Most importantly, if you
23 haven't turned off or silenced your cell phones,
24 now would be a really good time to do that.

25 Okay. If you review the agenda, we actually

0006

1 have set this up into three particular panels. The
2 first panel we're going to do this morning is to
3 hear from the three western states and Bill Keese
4 from the Governors Association about policy options
5 that the states already have underway. I'm going
6 to moderate that panel.

7 This afternoon we're going to have -- the first
8 one will be on IGCC Technology and
9 Commercialization, which Commissioner Oshie will
10 moderate.

11 And, finally, the panel on CO2 Capture and
12 Sequestration Opportunities, Commissioner Grueneich
13 will moderate.

14 Our intent is we'll let the panelists go
15 straight through and do that, and at the end of
16 each panel, we'll then provide an opportunity for
17 questions and some moderate discussion on the
18 panels.

19 At the end of the panels or at the end of the
20 day -- about 3:45 today -- we can open it up for
21 public comments for those who feel a need to make a
22 public statement about our discussion today.

23 So, as we go through these, I'd encourage you
24 to jot down your questions so that we don't lose
25 any of them as we get to the end.

0007

1 Okay. I'm going to turn it over now to my two
2 fellow commissioners for a couple of short opening
3 remarks. President Michael Peevey will be the
4 first to comment. Michael has served on the
5 California Commission since 2002 and was appointed
6 president of the Commission shortly after his
7 arrival there. Before coming to the Commission,
8 Mr. Peevey was President of the New Energies, which
9 was then the nation's largest energy service
10 provider. Before that he was the president of
11 Edison International and Southern California
12 Edison. He also serves on a number of boards for
13 corporations and nonprofits.

14 Commissioner Pat Oshie has served on the

15 Washington Commission since 2001. Before that
16 Mr. Oshie was a partner in his Yakima law firm,
17 specializing in federal Indian and environmental
18 law. In the late 1980s, Pat served as the
19 Assistant Seattle City Attorney and before that as
20 Assistant Attorney General in Utah, representing
21 the Division of Public Utilities and the Committee
22 for Consumer Services and for the Utah Commission.

23 And, as I said, after the introductory
24 comments, we'll get back and get into the policy
25 debates. So now I'll turn it over to President

0008

1 Peevey.

2 MR. PEEVEY: Good morning, everybody.
3 Greetings from California. It looks like there are
4 plenty of Californians here -- even people as far
5 away as Houston and elsewhere.

6 I think today is the beginning of an important
7 conversation for our region in these three western
8 states -- the three so-called Left Coast States.
9 I'm glad we have representatives from not only
10 there, but from many other -- several other states
11 here in the West so we can have a worthwhile
12 discussion about advanced coal and its place in the
13 energy futures of California, Oregon, and
14 Washington -- and throughout the West, for that
15 matter.

16 As I'm sure all of you know, with the exception
17 of a few small coal generators, we don't have any
18 coal-fired plants in California. We do import
19 plenty from other states. Upwards of 20 percent of
20 our energy supply is coal by wire.

21 So our perspective on this -- which I'll
22 amplify in a moment -- bringing new coal-fired
23 power -- if we're going to do that in California,
24 we want it as clean as possible, both in terms of
25 conventional pollutants and CO2 emissions.

0009

1 Why? Because we take the global warning issue
2 extremely seriously. Our governor has been a
3 leader of this -- Governor Schwarzenegger -- and he
4 set very ambitious goals for reductions in
5 greenhouse gas emissions. By the year 2010 it's
6 supposed to be back to the year 2000 level
7 emissions. By 2020 he set the goal of being at the
8 1990 level, and by 2050 he set the goal of 80
9 percent reduction, which is very, very significant.

10 Now, not all of us in this room will be around
11 in 2050 to see if we'll achieve that goal, but
12 there's a few of you that will. So keep that in
13 mind.

14 My agency, the PUC, is looking forward to
15 limiting greenhouse gas emissions resulting from
16 putting limits on the companies we regulate. With
17 actions occurring not only here in California and
18 in the Western states -- the coastal states here --
19 but also the Northeast states, the RGI states. I

20 think it's only a matter of time -- in fact, I'm
21 sure it's only a matter of time before we have
22 federal standards limiting greenhouse gas
23 emissions.

24 As utilities and independent power producers
25 start thinking about the next generation of coal

0010

1 plants, they need to be thinking about the types of
2 technology we will be talking about today. It's
3 proven from both an investor's standpoint and from
4 a rate-payer perspective.

5 So now let me give you just a little bit of
6 background on the California Energy Policy. Many
7 of you in the room know it already, but in 2003 the
8 California Energy Commission, the Public Utilities
9 Commission, and other major state agencies got
10 together -- something called the California Power
11 Authority in existence at that time -- and we
12 created something called the Energy Action Plan for
13 California, and that plan was updated again in the
14 fall of last year -- Energy Action Plan 2, which is
15 a document which will be made available to you
16 today here for those that are not familiar with it.

17 What it does is set forth what we call in the
18 document a loading order, but which is simply a
19 priority list of how we want to go about developing
20 resources in the future. No. 1 on our list is
21 energy efficiency. We strongly believe that the
22 best investment one can make -- and I am speaking
23 as an economist and feel very close to this -- that
24 is, investing as much as you can in energy
25 efficiency.

0011

1 Last year we approved a \$2 billion expansion in
2 the utility energy efficiency programs for this
3 year and the next two years. California has been
4 very successful in energy efficiency programs over
5 the past 30 years. We have held per capita
6 electricity consumption stable -- stable -- while
7 the nation has gone up 50 percent. That's a rather
8 dramatic statistic in and of itself, and if the
9 nation, as a whole, had met the kind of California
10 standards over the last 30 years, we would be
11 consuming a heck of a lot less of a lot of
12 different things and a lot less pollution into the
13 air.

14 Energy efficiency is No. 1. No. 2 is our
15 renewable portfolio standard. Statute by statute,
16 the electric utilities, the investor-run electric
17 utilities are supposed to get 20 percent of their
18 electricity from renewables by 2017, but we, as
19 policy in the Energy Action Plan 1 and 2 moved that
20 up to 2010. And the governor has asked us to set
21 an additional goal of 33 percent by 2020, an
22 extremely ambitious goal. I'm not sure it can be
23 attained, but we will do our best to try. We have
24 had commission studies that suggest it can be

25 done -- one third in California -- without any

0012

1 consequential harm and, as a matter of fact,
2 economic benefits.

3 As part of that effort, some of you are
4 probably quite familiar -- we adopted earlier this
5 year the California Solar Initiative. This started
6 out as the Governor's One Million Solar Homes
7 Program. Two years in a row we tried to get it
8 through the state legislature and was unable to do
9 so. It came to the Public Utilities Commission.
10 They asked if we would do it. We did. This is a
11 solar photovoltaics program that spends about
12 what -- we'll spend about \$3 billion on solar
13 projects and solar photovoltaics over the next ten
14 years, and we hope that that will produce 3,000
15 megawatts of decentralized power generation. We
16 include performance standards in that.

17 The Energy Commission will do the
18 new-home-construction requirement part of that, and
19 the PUC will run the rest of the program and
20 retrofit some existing facilities and programs for
21 schools and everything else.

22 Let me say a little bit about our procurement
23 policies that we have developed at the PUC going
24 forward that is particularly germane for coal. In
25 2004 we adopted as policy, what we call a

0013

1 greenhouse gas adder. It currently applies to
2 long-term procurement by our state electric
3 utilities at \$8 a ton CO2. The purpose of that is
4 to account for the financial risk that we think
5 ratepayers in the future will bear due to future
6 regulation nationwide of greenhouse gases.

7 We also set a greenhouse gas performance
8 standard in 2005. We established our intent to
9 implement, and now we're moving forward. We're
10 doing that consistent with the policy of our sister
11 agency. It applies to new sources of base load
12 energy purchase for at least three years, and those
13 greenhouse gas emissions are not to exceed those
14 for a gas-fired combined cycle power plant.

15 We're now in the process of adopting a
16 greenhouse gas cap, which will establish a
17 load-base cap for the IOUs and other load serving
18 entities operating in their service territories.
19 We're now in the process and will spend the next 21
20 months exploring flexible compliance measures,
21 including banking, offsets, and trade.

22 So that's the kind of backdrop for California
23 Energy Policy, and there's a lot more I can say,
24 but in the interest of time and the program this
25 morning, I won't, other than to say that we are

0014

1 strong supporters of what we have in California --
2 the California Climate Action Registry. The
3 purpose of that registry is all the major utilities

4 and other large users -- many other large users are
5 members of California Climate Action Registry.
6 These members -- their greenhouse gas emissions are
7 registered, using standardized protocols, and
8 they're certified and so forth, and it's a
9 benchmark for going ahead in compliance here. We
10 think it's particularly important.

11 Let me conclude by saying I see all this
12 against a backdrop of a truly serious, serious
13 thing that we face here in the United States.
14 President Clinton -- Former-President Clinton said
15 that -- and this is a little hyperbole, perhaps --
16 but he says that greenhouse gases and global
17 warming are a more serious threat to this country
18 and its well-being than is terrorism. I said that
19 might be a little hyperbole -- certainly in the
20 short term -- but it gives you a sense of the
21 magnitude of it.

22 I assume that eventually -- if for no other
23 reason than you'll be interested in seeing Al Gore
24 on the screen -- you'll all go to see "An
25 Inconvenient Truth." It's intriguing movie making,

0015

1 which I think opens tomorrow -- or it's about to
2 debut. But the whole purpose of the film is to try
3 to implore and beseech policymakers to do something
4 now while we have a little bit of time and truly
5 head off a very, very consequential impact of a
6 very, very serious challenge.

7 We believe that in California -- there is a
8 political consensus, I would say, in California
9 that believes that greenhouse gases are an
10 incredible challenge. It's led by the Governor,
11 but it's shared by the leadership and others in the
12 state legislature. We have to get on with it. We
13 have to see coal's future in that context. Thank
14 you very much.

15 (Applause)

16 MR. OSHIE: Well, like Lee and Michael, I'd
17 like to welcome all of you to this workshop on
18 coal, on integrated identification of the combined
19 cycle technologies. I think it's going to be a
20 very good meeting. We have had an opportunity over
21 the past few months to put this together. We've
22 got some very good speakers, and it should provide
23 some information from which all of us can help make
24 decisions.

25 I'd also like to thank the staff that have

0016

1 been -- as Lee did -- who helped put this together.
2 They did a great job, and he named them -- and I'm
3 not going to try to do that, because I'm sure I
4 would miss somebody -- but they made a very
5 significant contribution of pulling this together.
6 And also to David Wooley and the Energy Foundation,
7 who really pulled the three commissions together
8 and had an idea, and I think it's come to fruition.

9 So thank you very much.

10 I'd like to start off my presentation with a
11 quote from one of our Orders of the Commission, and
12 the quote goes like this: "Future energy supply to
13 provide even modest growth is going to be much more
14 costly. The high growth potential of the region is
15 almost totally utilized. All of the utilities are
16 participants in a regional plan to provide fossil
17 fuel facilities to meet future demand. The Pacific
18 Northwest region will require substantially
19 increased generating capacity over the next few
20 years, even if the most optimistic conservation
21 measures are effectuated."

22 That's the quote. I will ask the audience at
23 the end of my presentation what year they think the
24 Commission Order was issued.

25 We'll go ahead and get started. I'll start

0017

1 with talking about electricity demand. This
2 illustrates the regional demand. I think what's
3 important here is you can see that the energy
4 demand will remain relatively flat regionally
5 through 2015, and this is based on the Northwest
6 Power and Conservation Council's projections in
7 their fifth power plan. 22,105 average megawatts
8 represents the median case growth scenario. That
9 assumes no growth in the aluminum industry,
10 increased energy efficiency, and increased
11 renewable resource development.

12 However, while regional demand is projected to
13 be flat, the demand in Washington State is expected
14 to rise. Our utilities -- the three publicly owned
15 utilities -- Vista, Puget Sound Energy, and
16 PacifiCorp -- are projecting 760 average megawatts
17 of increased demand, going forward to 2015. Our 60
18 -- the rest -- they serve about 40 percent of the
19 population in the state. The remaining 60 percent
20 is served by public utilities. A BPA white paper
21 projects that those public agencies will require
22 840 average megawatts of new generation going
23 forward to 2015. I'm not sure how the Washington
24 public agencies fit within that number, but I'm
25 sure it's significant because they're large takers

0018

1 of power from Bonneville.

2 So there's new demand in Washington that needs
3 to be met, and how are we going to do that? Well,
4 right now -- that's a three clicker -- right now --
5 and I think all of us in the region know there's a
6 terrific reliance on hydrogeneration that provides
7 50 percent of our electricity energy and --
8 energy -- and it provides two-thirds of our peaking
9 compacity.

10 And as we're not building any new hydro, we
11 have to ask the question, "What are we going to do
12 to meet our projected demand with our current
13 resource mix -- energy, efficiency, and

14 renewables?" And this is where the answer, of
15 course, is dependent on many factors which we have
16 little or no control. Snowpack and rainfall fuel
17 our hydro facilities, and a good water year can
18 produce over 20,000 megawatts. In a bad water
19 year, 12,000. We have a system demand elasticity,
20 which is affected by fossil fuel prices, increased
21 cost, consumer education, and consumer acceptance
22 and adoption of conservation measures.

23 To the risk of not rolling the hydro dice and
24 facing another critical period like 2000 and 2001,
25 if we need to build new fossil fuel resources, what

0019

1 will those resources be? Well, utilities are all
2 looking at more fossil fuel resources in their
3 portfolio. And I think what's interesting here is
4 that Washington's carbon footprint is the third
5 smallest in the nation. To be exact, it's 0.123
6 tons of carbon emissions per megawatt hour.

7 We are right behind Idaho and Vermont. I don't
8 believe there's any generation in Vermont that can
9 take all their resources from generating facilities
10 outside of Vermont. They're all coal and natural
11 gas, but still, based on the way the study was
12 done, I believe they are second. Idaho was first.
13 Oregon was not far behind.

14 So even though we're one of the lowest carbon
15 outputs in the nation, we have still been engaged
16 in reducing our carbon emissions. So what I am
17 going to do now is walk through what we've done
18 directly to mitigate or address carbon output and
19 then also actions that we've taken -- as I think
20 Commissioner Peevey pointed out -- other actions
21 taken to mitigate carbon output from our generated
22 resources.

23 In 2004 the legislature took action to mitigate
24 greenhouse gases for all fossil fuel projects. The
25 Energy Facility Site Evaluation Council has

0020

1 permitting authority for projects over 350
2 megawatts. The Department of Ecology has
3 permitting authority for projects between 25 and
4 350 megawatts.

5 The law requires all project owners to mitigate
6 20 percent of carbon emissions from all fossil fuel
7 projects. Those emissions are priced at \$1.60 per
8 ton. They assume a 60-percent capacity factor for
9 each generator permitted, and they assume a 30-year
10 life of the project. The mitigation dollars are
11 paid up front to EFSEC, and EFSEC would then
12 contract the mitigation, as I understand it.

13 The project owners can also provide for their
14 own mitigation measures, and that I don't -- I
15 guess the question there is who owns the renewable
16 energy credits or the regs, if that were the case.

17 I think under the rulemakers, as pointed out
18 here, the carbon dollars can go up 50 percent each

19 year through agency action and rulemaking. Jim
20 Luce, the executive director of EFSEC, is here
21 today, and if you have any questions about the
22 process, I'm sure he can answer them.

23 The projects that are listed there on my
24 slide -- only Chehalis -- Cherry Point was not
25 built; (Inaudible) was not built; (Inaudible) was

0021

1 not built; Cherry Point was in operation. The
2 credits are in place, but they haven't reached the
3 generation thresholds to where they have to pay.

4 Also what we've done -- this is something that
5 the UTC has done -- is explicitly require the
6 utility to examine the uncertainty associated with
7 climate change, including carbon regulation in
8 their integrated resource plans. We've called out
9 climate change and carbon control to better
10 understand the long-term cost of fossil fuel
11 projects.

12 The real possibility of federal and/or state
13 carbon control legislation heightens the level of
14 uncertainty associated with new thermal resource
15 development and cost recovery. We need accurate
16 cost projections for new fossil fuel resources over
17 the life of the project in order to compare their
18 cost effectiveness with other resource
19 possibilities.

20 Now, as an example, PacifiCorp modeled
21 conditional coal with the carbon gas adder of \$35,
22 and found that at that \$35 penalty, IGCC would be
23 cost competitive with conventional coal.

24 Now, the environmental issues -- and they have
25 to be dealt with in an integrated resource plan --

0022

1 reach much further than carbon control. For
2 example, the future of hydrogeneration is
3 significantly affected by climate change and
4 weather volatility.

5 There is a study done by Pacific Northwest
6 Labs. They projected that with warmer temperatures
7 there would be reduced snowpack in the Cascades;
8 there would be alteration, if you will, of the
9 natural hydrograph; the runoff period would begin
10 earlier; there would be less reservoir storage
11 available; and, of course, in the late summer and
12 fall, there would be a significant decrease in the
13 water available for hydrogeneration.

14 We would like you to take a look at these
15 things. Of course, there's a significant
16 uncertainty here, but it's an issue that needs to
17 be examined. It's perhaps impossible to forecast
18 the impact of climate change with precision, but
19 they need to take a look at how climate change is
20 affecting their generation and also affecting their
21 changes in demand as temperatures warm and also
22 resource availability for wind projects, as an
23 example.

24 I'd also like to discuss the other actions that
25 we have taken. We have -- they're on this slide

0023

1 and identified -- conservation efforts, renewable
2 resource development, and interconnection
3 standards. While not designed to deal with carbon
4 emissions directly, all of the above have the
5 effect of reducing Washington's carbon footprint.

6 Starting with conservation, the Northwest Power
7 Plan, which is looked to as a (Inaudible) in the
8 region as of the (Inaudible) utilities for
9 direction with regard to energy efficiency and as a
10 comparator for performance of utility, their fifth
11 power plan indicates that they believe the region
12 can meet its resource demand through 2010 through
13 conservation. We're looking at approximately 700
14 megawatts of cost-efficient conservation would be
15 available to the region.

16 Also we are -- I'd like to speak very briefly
17 about how our utilities stack up. We have
18 approximately 40 megawatts of average savings that
19 Puget has in place and saved in 2004-2005 6.6
20 average megawatts for Avista -- which is a smaller
21 utility -- and PacifiCorp, which has an even
22 smaller footprint in Washington, had 3.3 average
23 megawatts.

24 But what's important here is what they are
25 projecting. PSD is projecting 282 average

0024

1 megawatts of savings from conservation alone
2 through 2016. Avista is projecting 69 megawatts of
3 average savings in that same time period, and
4 PacifiCorp is also projecting more significant
5 savings in that period.

6 Now, how can we make the -- how can we make
7 energy efficiency measures more attractive to the
8 utilities? What we have here on this slide are
9 just some ideas. They're not -- I wouldn't call
10 them policies yet of the Commission, but they're
11 ideas that we are -- that are in discussion, ideas
12 that we know are -- have some merit, and let's go
13 through them very briefly.

14 Financial incentives for energy-efficient
15 appliances and project development. Financial
16 incentives could be rated at a rate of return adder
17 for conservation measures, or there could be some
18 type of incentive mechanism that rewards the
19 utility for meeting or exceeding conservation
20 targets.

21 The reference to a disincentive on that
22 slide -- that's code word for decoupling, and it's
23 a matter that's in adjudication before the
24 Commission right now, and it's a matter that's been
25 before us, and we are looking at it very seriously.

0025

1 Integrated conservation only RFPs -- we've allowed
2 those in the past, and I think we could do that

3 again in the future. Enhanced energy appliance
4 standards -- we don't have control over that, but
5 that would certainly be a great policy that would
6 be better on a national level, but it could be done
7 by the state.

8 And also one other factor is integrated
9 resource planning for public utilities for those
10 with 25,000 customers or more. This was a new law
11 that was enacted in the last year, and I'm very
12 interested to see the effect of integrated resource
13 planning for the smaller utilities. I think it's
14 going to be a real benefit.

15 This slide just talks about some of the
16 available conservation resources (Inaudible) power
17 plant. The really big numbers here are -- you can
18 see No. 1, commercial new and replacement lighting.
19 245 average megawatts by 2025 at a cost of -- at a
20 high cost of 1.51 cents a kilowatt hour. And some
21 of the other big numbers are industrial
22 nonaluminum, 350 megawatts, 2 cents a kilowatt
23 hour; residential compact fluorescent lights, 2
24 cents a kilowatt hour, 535 available average
25 megawatt hours.

0026

1 I'd like to speak briefly about our existing
2 renewable resources that we have in play right now.
3 We have Puget Sound Energy's Hopkin Ridge facility
4 that's been built -- it's 150 megawatts, and in the
5 process of building Wild Horse -- that's 230
6 megawatts. We have the Kettle Falls facility,
7 which is Avista -- I believe about a 50-megawatt
8 wood-waste plant, and Avista has contracted with --
9 statewide for 50 megawatts of wind.

10 The next slide is what may be available in the
11 future. Avista is looking at more wind. We have a
12 co-gen with BP, and Puget Sound Energy is looking
13 at tidal power, which I think is a very interesting
14 concept, and exploring geothermal, solar, and
15 biodiesel alternatives.

16 I'll kind of quickly run through this. This is
17 just some stats on the Hopkin Ridge and Wild Horse
18 facilities, and they're there for your information
19 only.

20 I think this is very interesting slide. The
21 Hopkin Ridge capacity factor they project at 36.7.
22 They're getting 38 percent. I think what's really
23 interesting here is you can see the projected and
24 actual production from the plant is very volatile.
25 While they're averaging above what they projected

0027

1 as a capacity factor, it's been a very volatile
2 facility in terms of understanding the actual
3 output and being able to integrate that into the
4 system.

5 Potential resources are here. There's a number
6 of them. Again, this is for your information only.
7 These are -- these are projections made, I believe,

8 by the Power Council as to what might be available
9 in this region. You can see most of their
10 benchmark costs are below what it would now cost to
11 generate at least natural gas and probably most
12 coal facilities.

13 Now, what can we do to support our renewables?
14 Again, financial incentives, some rate of return
15 adder to be considered, or, again, some type of
16 incentive mechanism for the utility that meets or
17 exceeds its renewable resource development goals.

18 Renewable portfolio standards -- that's in play
19 in Washington. We may see that as an initiative,
20 I believe, and we may see that law in effect at the
21 end of the election year.

22 I think, very quickly here, I'd like to ask the
23 audience now what year they believe that the quote
24 that I read earlier in this presentation -- what
25 was the year of that order? Anybody have any

0028

1 guesses?

2 AUDIENCE MEMBER: '79.

3 AUDIENCE MEMBER: '75.

4 MR. OSHIE: That's a pretty good one. There we
5 go. I would have guessed probably somewhere in the
6 mid '80s, because that's when they started in
7 regulation, and at the time there was terrific
8 inflation and increased demand and, of course,
9 increased cost, and, you know, the companies were
10 coming in all the time for rate cases because of
11 that. But whoever guessed '75 was really close,
12 because that order was written in 1974.

13 And we are faced with the same issues today,
14 only more. We have increased demand, increased
15 cost, significant uncertainty as to how we're going
16 to meet the demand at the lowest cost possible.

17 Now, unlike the commissioners in 1974 or those
18 in the mid '80s -- and we could probably stack a
19 few more dates on top of that -- we have added
20 climate change to our stack of uncertainty and
21 risk.

22 Now, how disruptive will the effects of climate
23 change be on the industry? We don't know exactly,
24 because we don't know precisely the impact. We can
25 only guess. But what we do know is that utility

0029

1 planners in Washington have called for coal plants
2 in their resource stack, and utility management has
3 to make a decision. "If we build it, what's it
4 going to be? Is it going to be a conventional coal
5 plant? Will it be an IGCC? Will it be IGCC with
6 or without sequestration?"

7 I think utilities -- the boards of directors
8 for our utilities have to be asking, "If we build
9 an IGCC plant, will the regulators allow cost
10 recovery? Or, in the alternative, if we build a
11 conventional plant and carbon controls are imposed,
12 then who is going to bear the cost of the controls?"

13 Is it going to be the ratepayers, or will it be the
14 utility that built the conventional coal plant in
15 the face of climate change and carbon uncertainty?"

16 Well, these are really difficult questions --
17 questions that our utilities are wrestling with,
18 questions that the Commission is wrestling with,
19 and we don't have a definite answer -- I'm not sure
20 any of us do -- and perhaps today's discussion will
21 inform our decision-making. Thank you very much.

22 (Applause)

23 MR. BEYER: I'd like to turn now to the Oregon
24 perspective. To borrow liberally from Dorothy,
25 when it comes to generating electricity, we're not

0030

1 in Kansas anymore.

2 I think it's an accepted fact that fossil fuel
3 generation of electricity is second only to
4 pollution from cars in contributing to global
5 warming. Clearly, we have a problem. Emissions
6 from fossil fuel power plants are changing our
7 climate, and there's mounting evidence that the
8 effects will be serious, widespread, and if we
9 simply continue to burn coal the way we do today,
10 we're going to have a problem. Our energy policies
11 must change, and they must be directed as to
12 preventing future damage to the environment.

13 Our governor, Governor Ted Kulongoski, takes
14 this situation very seriously, and he's adopted
15 three clear goals for addressing that in Oregon.
16 First, he's directed that we arrest the growth of
17 greenhouse gas emissions by 2010. Second, that we
18 achieve a 10 percent reduction below 1990 emission
19 levels by 2020. And, third, by 2050 achieve a
20 climate stabilization level at least 75 percent
21 below 1990 levels.

22 These goals form the basis of recommendations
23 from the Governor's Advisory Group on Global
24 Warming. The Governor recently appointed a Climate
25 Change Integration Group to oversee the

0031

1 implementation of the goals and to develop
2 strategies for adapting to climate change that we
3 cannot avoid.

4 The Oregon Commission takes this challenge
5 seriously. If we're to meet our energy needs
6 reliably, affordably, and with minimum harm to the
7 environment, as we face the changing climate, we
8 have to do things differently.

9 We've adopted four strategies to get there.
10 First, recognizing and signaling the full cost of
11 energy production in our resource planning.
12 Second, to capture all cost-effective conservation.
13 Third, to develop renewable and distributed energy
14 resources. And, fourth, to promote advanced
15 technologies that hold promise at meeting our
16 energy needs at lower cost and with less impact on
17 the environment.

18 Let me touch on each of those just briefly.
19 First, the accounting for the full cost of energy
20 production and decision-making. This isn't new to
21 the Oregon Commission. This is something in
22 planning that we've been doing now -- for a long
23 time now. Since 1989 we've required the use of
24 environmental adders and resource planning. For
25 carbon we've required analysis of adders up to \$40

0032

1 a ton since 1993. I have to say that there's a
2 point where I kind of wondered about that --
3 whether we'd ever get to that. My good friend,
4 Phil Carver, with the Oregon Department of Energy
5 has been telling the Commission for, I think,
6 almost 20 years, John, that there's an imminent
7 national carbon tax that's going to happen.

8 Well, you know, when the Bush Administration
9 started talking about a carbon tax in the last
10 year, I think he may have something there --
11 something we need to pay more attention to -- and
12 should, anyway.

13 All three of our private electric utilities
14 recognize increasing likelihood of carbon
15 allowance. They've already chosen resources --
16 assuming carbon emissions will be regulated. In
17 orders that the commission will soon release, we'll
18 be updating our carbon adders and require our
19 resource planning analysis establishing what carbon
20 costs to assign to resources in the competitive
21 bidding process.

22 Back in 1987 Oregon passed the first law in the
23 country to require developers of new power plants
24 to meet carbon emission standards. Developers must
25 invest in projects that offset portions of their

0033

1 emissions.

2 Today a governor's task force is exploring a
3 load-based carbon emissions cap for Oregon
4 electricity suppliers. The recommendations from
5 that task force will be forthcoming early this
6 fall.

7 The Commission's second strategy and perhaps
8 the most important for meeting our electricity
9 needs is conservation. Efficient energy use is the
10 foundation of the Commission's energy policy -- for
11 a simple reason. That's because conservation is by
12 far the cheapest and cleanest resource available to
13 meet growth. Oregon has long been a conservation
14 leader, but there's a lot of savings that we leave
15 on the table.

16 As Pat was talking about, the Northwest Power
17 and Conservation Council's latest plan for the
18 region sets a required -- a regional conservation
19 target of 130 average megawatts per year. Oregon's
20 share of that is about a third, and the utilities
21 we regulate account for most of that.

22 The Energy Trust of Oregon, which is a

23 nonprofit that this Commission created in 2001,
24 runs our conservation and renewable resource
25 programs for the two largest utilities, Portland

0034

1 General and Pacific Power. Customers fund the
2 trust through a 3 percent charge on their
3 electricity bills. Last year the Energy Trust
4 Conservation Program saved almost 40 average
5 megawatts. I'll note to my friends in California,
6 we're about a tenth of the size of California. So
7 that's a significant number to us.

8 A new study by the Trust found that there was
9 350 average megawatts of conservation available by
10 2012 at a cost of less than 6 cents -- less -- 6
11 cents or less of kilowatt hours. So far the
12 average costs for our conservation effort has been
13 just a little over a 1-cent kilowatt hour, and
14 that's, obviously, if you looked at the prices at
15 the trading hubs, that's a pretty good deal for
16 customers.

17 Unfortunately, with the funding that we
18 currently have, we're not going to be able to
19 achieve most of that. But, to address that, the
20 Commission has proposed or will be proposing a bill
21 in the next legislative session to increase the
22 funding so that we can get at more of that
23 resource.

24 The Northwest Council's plan also calls for
25 reducing peak demand by 500 megawatts regionally.

0035

1 To get there, we need to look beyond programs for
2 our largest customers and look more at empowering
3 residential and smaller commercial customers to
4 participate in the program.

5 Towards that goal, the Oregon Commission
6 recently adopted a new rule to promote advanced
7 metering. We will be reviewing Portland General's
8 application to install advanced metering throughout
9 their system in their current rate case.

10 Our third strategy to meet our energy needs is
11 developing renewable resources. As Pat said, the
12 Northwest Power Plan calls for 600 -- excuse me --
13 6,000 megawatts of wind by 2015. All of our
14 electric utilities are in the wind business now and
15 have aggressive wind acquisition in their resource
16 plans, and we have the Energy Trust available to
17 help them with subsidies, where necessary, to
18 achieve those goals.

19 Most recently, PGE has announced plans to
20 develop a 350-megawatt wind farm in Sherman County,
21 Oregon. Those of you not familiar, it's just over
22 the mountains.

23 And Pacific already has acquired a wind farm --
24 that and a geothermal plan toward their commitment
25 of 480 megawatts of new renewable resources by

0036

1 March. The company also plans to announce an

2 additional wind project in the next month.
3 We've also developed a strong consumer demand
4 for renewable energy through our Green Power
5 Options or Green Tariffs, if you will. Portland
6 General is ranked proportionally second in the
7 nation in customer's acquisition of green power.
8 Pacific is ranked No. 3. We're also encouraging
9 our customers to generate energy at their homes and
10 businesses with our new standard rates and
11 contracts for small renewables and cogeneration.

12 Our staff has started work on rules to expand
13 (Inaudible) and develop uniform standards,
14 procedures, and agreements across all utilities for
15 interconnecting independently owned generations.

16 Recently Governor Kulongoski called for the
17 enactment of an Oregon renewable portfolio
18 standard, and, frankly, it's pretty aggressive.
19 His goal is to supply 25 percent of Oregon's needs
20 with renewable resources by 2025.

21 While our utility planning projects are almost
22 enough to meet the governor's target by 2015, the
23 new (Inaudible) would likely increase the amount of
24 renewable resources available over the long run.

25 Finally, we get to our strategy for promoting

0037

1 new advanced technologies. That's where IGCC
2 technology and carbon capture and sequestration
3 fits in. For many years now, we've been including
4 in our decision-making the financial risk of these
5 resources that are harmful to the environment.
6 Given the mounting concerns about climate change,
7 we're at the point today where we should not be
8 making any long-term bets on coal plants unless
9 they're designed to capture and sequester carbon
10 emissions in the future. I think this afternoon
11 will be very interesting, as we look forward to
12 hearing more about how we can do that and where the
13 technologies are today.

14 So that's the Oregon perspective. With that,
15 we have one more speaker on our policy panel, and
16 after that I'll turn to other commissioners to get
17 their comments and open the floor to discussions on
18 this.

19 So our next speaker, then, is Bill Keese. Bill
20 is co-chair of the Western Governors Clean and
21 Diversified Energy Advisory Committee. This group
22 is assisting the governors to achieve their goal of
23 developing 30,000 megawatts of clean and
24 diversified electricity generation in the West by
25 2015 -- an aggressive goal.

0038

1 Bill is also co-chair of the group's Advanced
2 Coal Task Force. He served eight years as the
3 chair of the California Energy Commission, and
4 Governor Schwarzenegger recently appointed Bill as
5 his advisor -- to his advisory panel that is
6 reviewing the California public goods program.

7 Bill also serves on the boards of Alliance to
8 Save Energy, Cal-Plan Corporation, and he's a
9 strategic advisor to the North American Insulation
10 Manufacturers. In short, Bill has got a lot of
11 experience in this subject.

12 Bill, it's all yours.

13 MR. KEESE: Thank you, and I do note that there
14 are representatives of three of the governors who
15 were at the energy summit. There are six
16 participants in our task force in the CDS itself,
17 and there are four people here who can tell you on
18 almost all of the 3500 pages of work product how
19 the "I"s were dotted and the "T"s were crossed. So
20 I'm going to be a little careful in making this
21 presentation, I guess.

22 We started this activity -- it was started by
23 Governors Richardson and Schwarzenegger in June of
24 2004 -- 700 participants -- and they came up with a
25 resolution. Protect against shortages and spikes.

0039

1 Regional energy policy that is diverse and
2 contains both conventional and alternative energy
3 resource development, energy efficiency, and
4 conservation. No. 3, meet the energy needs of the
5 West. No. 4, respond to environmental challenges,
6 and, No. 5, take advantage of new technologies that
7 lower the cost of renewable energy and reduce
8 emissions.

9 Now, I have to -- I'm going to try to tie this
10 in to what you're doing -- what we're talking about
11 here. So let me explain how the Western Governors
12 operate. They have adopted a policy in libra. In
13 libra is the way that the Western Governors,
14 operating as an entity, can bring together the
15 group's interest.

16 I'll read you a couple of the -- their bulleted
17 items: National Standards, Neighborhood Solutions.
18 Collaboration, Not Polarization. Markets Before
19 Mandates. Recognize the Costs and the Benefits,
20 and Solutions Transcend Political Boundaries. Use
21 the Appropriate Geographic Boundaries For
22 Environmental Problems.

23 The resolution called for a number of things.
24 Add 30,000 megawatts of clean energy by 2015.
25 Increase energy efficiency in the West by 20

0040

1 percent by 2020, and meet the transmission needs of
2 the West over the next 25 years.

3 A task force, an advisory committee, CDS, was
4 formed to promote those recommendations. There are
5 29 members of that body. All my previous
6 presentations have been on what the CDS was. The
7 CDS report has been prepared, is out with those 29
8 members. I wish I could report to you day-to-day
9 that we had 29 signatures. We're real close. But
10 in the in libra principle, we do believe now that
11 we have everybody signed up. There might be no

12 objection to the report. The report will go to the
13 governors.

14 Let me give you a little sketch of what we did.
15 We set up some task forces: Wind, clean coal,
16 biomass, geothermal, solar, energy efficiency. We
17 also had a paper on natural gas and a paper on
18 hydropower and a paper on combined heat and power.

19 We set up a separate transmission task force.
20 We set up -- the energy efficiency group operated
21 somewhat separately, but extremely well.

22 We had an integration group that tried to make
23 sure we were always talking about apples or
24 oranges, that we did not get different reports on
25 different bases and bring unity to it. We had a

0041

1 qualitative working group. We had a steering
2 committee.

3 The report was to illustrate the potential for
4 clean and diversified energy and energy efficiency
5 if the right incentives are provided, and our
6 conclusion is going to be that, as a result of the
7 incentives and renewable portfolio standards, we
8 should exceed the 30,000 megawatt goal. But,
9 ultimately, the market will determine what gets
10 built and where it gets built.

11 The CDS policy, we hope, implemented by the
12 governor, will allow companies to invest on this
13 plan that we see going forward.

14 Let me talk about numbers a little bit. We had
15 hundreds of participants. In the solar area, for
16 instance, we had 65 stakeholders participate. In
17 the coal we had 40 to 45 participate. We had
18 extremely good support from the Human Foundation.
19 We had expertise from the Department of Energy, the
20 USCPA, the national labs.

21 Geothermal -- the potential is 5600 megawatts.
22 Solar -- the potential is 8,000 megawatts.
23 Biomass, 10 to 15. Energy efficiency, 48,000
24 megawatts. Wind, 9,000 to 54,000, depending on
25 accessibility of the transmission. And coal --

0042

1 5,000 new megawatts from highly advanced
2 technologies and 9 to 17,000 megawatts from other
3 advanced technologies.

4 I want to mention -- I'm going to ignore
5 everything but coal, but I do want to mention that
6 there's some very important aspects of transmission
7 in this that I think are related -- that
8 recommendations will be that we should promote the
9 efficient use of existing transmission systems,
10 improve transmission planning. Cost allocation and
11 cost recovery for transmission investment is very
12 important, and we need to coordinate siting and
13 permitting.

14 As I said, all the task force reports are
15 completed. They are on our website. They were
16 each adopted by consensus of their participants.

17 So those who participated in each of the task
18 forces and in each of the work groups came to a
19 consensus on their report. We then, of course,
20 moved up the ladder.

21 Coal was a problem. At the front end, it's
22 fair to say that we had some interests in coal, who
23 suggested that the report should be written without
24 the use of the word "carbon." On the other hand,
25 we had some who suggested that the report should be

0043

1 written without the use of the word "coal." That
2 did present us with a big problem.

3 We had three work groups. We had technology,
4 carbon management -- you can sort of read that in
5 sequestration -- and policy. The policy work group
6 report focuses on the barriers that have inhibited
7 the development of new, cleaner, advanced coal
8 technologies and presents recommendations to
9 overcome those barriers. I am reading a couple
10 things, because they were negotiated to be read as
11 I am presenting them.

12 This is a very important thing I will read.
13 "This task force supports continuing efforts to
14 improve the operational and environmental
15 performance of all the advanced coal technologies
16 listed in the technology report, beyond performance
17 levels, with the ultimate goal of achieving near
18 zero emissions of all emissions at a competitive
19 cost of electricity."

20 Now, I want to mention that the group called
21 for two specific groupings of coal projects.
22 Understand, we're trying to make 2015. 2015 is a
23 stretch goal for advanced coal technologies.

24 Tier 1: We recommend that the Western
25 Governors and the Western states place the highest

0044

1 priority on providing incentives to facilitate the
2 development of four to five electricity-generating
3 plants, approximately 2,000 megawatt totals that
4 use coal for fuel and that capture and sequester at
5 least 60 percent of the CO2 emissions. We
6 recommend that a full set of state level incentives
7 be provided to Tier 1 projects. 2,000 megawatts,
8 new plant, that sequester at least 60 percent.

9 Tier 2: In addition, we recommend that a
10 subset of state incentives be provided to projects
11 of approximately 3,000 megawatts, employing
12 technologies not yet commercially deployed in the
13 West that most cost effectively and rapidly move
14 toward zero-emissions and carbon capture and
15 sequestration. These are not limited to, but
16 include, gasification, ultrasuper critical coal,
17 and oxycombustion.

18 As I mentioned, the report is being signed off
19 as we speak. Perhaps by the end of this conference
20 I'll be able to say it's been signed off and going
21 to the governors. It's not going to be made public

22 until the governors receive it on Sunday, June
23 11th, and decide on an action plan.

24 I will mention one of the recommendations,
25 because we have many recommendations. Until cost

0045

1 recovery for Tier 1 and Tier 2 project
2 development, we're going to ask the governors to
3 request the public utility commissions encourage
4 utility cost recovery for Tier 1 and Tier 2 project
5 development studies and for sequestration studies
6 at current and proposed generation sites.

7 I am very enthusiastic about this project, but
8 it's the result of all this technical work which
9 basically shows the potential for wind in the whole
10 west and the potential for solar and the potential
11 for coal. If it sits on the shelf, it does
12 nothing. It takes action plans.

13 I'm pleased to see this conference, because I
14 think this is the way we're going to get the action
15 plan moving forward. The recommendations will be
16 recommendations as to what the federal government
17 can do to help us overcome these barriers to reach
18 the potential.

19 What states can do to overcome the barriers to
20 reach the potential and what we have to do as
21 regions on different -- in different areas of
22 this -- whether it's transmission or energy
23 efficiency -- to overcome the barriers and reach
24 the potential. Thank you.

25 (Applause)

0046

1 MR. BEYER: Thank you, Bill.

2 Okay. We have provided about a half an hour
3 for additional comments by the others and questions
4 and discussions on this topic, and I'm going to
5 turn first to my fellow commissioners and ask if
6 any of you would like to comment. Can you do it
7 from up there?

8 MR. SAVAGE: Can I ask a question?

9 MR. BEYER: Huh?

10 MR. SAVAGE: Can I ask a question?

11 MR. BEYER: I was hoping there would be
12 comments first. John, you talk a lot.

13 MR. SAVAGE: I have a question for Bill. Can
14 you explain Tier 2 again. I understand Tier 1.
15 Can you explain the Tier 2 plans again, what you
16 are trying to accomplish.

17 MR. KEESE: Well, I think probably the easiest
18 way to explain it is Tier 1 is plants that will be
19 built and will be sequestered, and Tier 2 is plants
20 that will not be business as usual, but advance
21 forward and capable of sequestration.

22 MR. SAVAGE: Okay.

23 MR. KEESE: I'll just ask any of my experts
24 sitting in the middle of the room in the third or
25 the back row if that's correct.

0047

1 MR. BEYER: I think he got it right. Okay.
2 Any other comments?

3 Mary, did you want to comment on anything on
4 the Wyoming perspective?

5 MS. BYRNES: Thank you. Not speaking exactly
6 for the policymakers of Wyoming throughout the
7 system, but I think we talked earlier about the
8 political consensus about that global change is
9 happening. I don't know if you would find that
10 explicitly articulated in Wyoming, given the
11 culture of Wyoming, and it's deeply embedded in
12 harvesting coal and hopefully will be transmitting
13 energy. That's a great gain for the state.

14 It's encouraging to hear the discussion today
15 regarding cost recovery is an issue both for the
16 consumers, as well as for assurances to the
17 companies, and in Wyoming I think some of our
18 concerns are that the cost would be pretty much
19 burdened on the citizens of Wyoming -- and there's
20 very few of those -- as well as the sequestration
21 issues, perhaps for long-term safety and liability
22 and viability of those. I'm looking forward for
23 the rest of the day to hear more about this.

24 Additionally, I did have a question for Bill.
25 If you could articulate what the Western Governors

0048
1 Association are requesting of the PUCs in Tier 1
2 and Tier 2. I'm not sure I understood.

3 MR. KEESE: I'm presenting the Western
4 Governors and not adopting our presentation. Our
5 recommendation to the Western Governors in a
6 consensus document is that all the western states
7 support 5,000 megawatts in the Tier 1 and Tier 2
8 group. There is no suggestion whatsoever that
9 Montana, Wyoming, and North Dakota have to bear the
10 cost of it.

11 I should put a little asterisk here. Those of
12 us who work in the West and worked on this for a
13 long time think of the West electrically as west of
14 the Rockies. The Western Governors includes
15 Hawaii, Alaska, Texas, Nebraska, North Dakota, and
16 South Dakota. So there's a little bit more to this
17 politically than meets the eye. But the suggestion
18 of the group is not that the states where the
19 generation takes place should be the sole
20 supporters of it, that there has to be some
21 regional take to it.

22 MS. BYRNES: Thank you. Thank you.

23 MR. KEESE: Until they've adopted it, I really
24 can't make the recommendation specifically.

25 MR. BEYER: Somehow I think that will all find
0049
1 its way into rates.

2 Commissioner?

3 MS. GRUENEICH: Yes, I guess I have basically
4 two comments. First of all, I am very, very
5 pleased that we've been able to gather here

6 together. After I was appointed early last year
7 and was discussing energy matters and various
8 aspects in the West with President Peevey, he asked
9 me to basically be taking the lead among the
10 California commissioners of thinking what more we
11 can or should be doing in terms of reaching out to
12 our fellow commissioners -- not just on the West
13 Coast, but in the West generally -- and in the
14 approximate year since President Peevey and I spoke
15 on this issue, it really has become increasingly
16 apparent to me that we in California -- both at my
17 Commission and other entities -- need to be part of
18 the broader discussion going on in the West. And
19 so I wanted to say that I very much
20 enthusiastically support the efforts of CDS and
21 Western Governors Association to be bringing
22 together the stakeholders to be looking at the West
23 in some sort of an integrated fashion where
24 hopefully we can have some consensus on what we see
25 going forward as some of the rock-bed foundations

0050

1 of the policies.

2 Certainly, by our presence today of three of
3 our commissioners, I hope that we're sending the
4 clear message that we do want to be part of the
5 discussion and dialogue.

6 One of the areas that -- I know it's not the
7 topic for today, but I'm hopeful that, as we have
8 these continuing meetings and discussions, we can
9 talk about energy efficiency, in particular, since
10 that among the three West Coast states -- and I
11 know many of the other states -- it's really the
12 foundation of saying that's something that still is
13 left largely untapped. It doesn't require these
14 massive new transmission lines, which, believe me,
15 I'm spending a lot of time thinking about how
16 you -- you know, look at the permitting and
17 planning, and its costs are really at the low
18 level. And so I'm just going to put in a plug that
19 I think that's an area when we're talking about
20 regional discussions.

21 The second thing, though, I wanted to just
22 address briefly today is the topic of this panel
23 that when John and Pat and I first met to think
24 about it, we really concluded that this is the
25 first thing to take on, because, as the regulators

0051

1 in the western states, where we are in the West
2 Coast states, from what I'm hearing today and have
3 heard before, that, while we have variations on it,
4 all three states are really saying that we are
5 committed to addressing climate change and that, as
6 part of that, we need to think about how coal will
7 be part of the mix in the future.

8 And so I felt that it was extremely important
9 for me to get educated on what is the state of the
10 technology of advanced coal -- whether we're

11 talking about supercritical peak or IGCC -- and
12 what's the state of the research and development on
13 carbon sequestration. Because, as regulators, we
14 can only make intelligent decisions if we
15 understand what is the state of that technology?
16 What are the risks out there? What is the time
17 line? And also in my mind, very importantly, what
18 signals does the investment community need to have
19 in order to be willing to put investment in carbon
20 sequestration and the advanced coal.

21 So I just wanted to take a moment to share my
22 perspective that this is really about educating all
23 of us, of understanding what is this new technology
24 that we're really saying is so critical to meeting
25 our policies? What are the issues? What are the

0052

1 risks? And then hopefully how we, as the
2 regulators, can respond intelligently as we are
3 presented with these issues in terms of utility
4 resource plans or proposals for generation or
5 loading orders or whatever.

6 So thank you very much, and I look forward to
7 the discussion.

8 MR. BEYER: Thank you, Commissioner.

9 Commissioner, is there anything from
10 New Mexico?

11 MR. MARKS: It's great to be back here. Well,
12 I wanted to start off by thanking the Oregon,
13 California, and Washington commissions for
14 organizing this and holding it. I'm here to learn.

15 New Mexico is, I guess -- and certainly
16 compared to California -- a drop in the bucket.
17 Our retail market -- our peak load is, I think, a
18 little bit under 3,000 megawatts. But, you know,
19 to me, it's very near and dear to my heart.

20 Right now New Mexico -- our retail electrical
21 supply is about 80 percent coal based with, oh, I
22 don't know, 5, 6, 7 percent nuclear and then some
23 gas. And then we have a fair amount of wind.
24 Right about now about 8 percent of our electricity
25 is coming from wind. We have our Renewable

0053

1 Portfolio Standard that's been around for a couple
2 years -- actually, just took effect in 2006 -- but
3 our utilities built towards it, and certainly we're
4 having the same discussions that other states are
5 in terms of raising the bar to something in the 20
6 percent or higher range in the next decade as a
7 target.

8 With our RPS -- and we've got some solar
9 projects that are on the table -- biomass on the
10 table -- I would like to say -- I would really like
11 to say I hope we never have to build another coal
12 plant in New Mexico to serve our retail load.

13 Unlike my colleagues up here, I'm an elected
14 commissioner, and my constituents -- they're not
15 too excited about coal. They certainly aren't

16 excited about expensive power either. But, you
17 know, natural gas is the deed at the moment, and
18 the renewables are actually cheap. We all know
19 wind is 3 cents a kilowatt hour with the PTC.
20 Solar is coming and (Inaudible) in natural gas. It
21 would be great -- and biomass is probably cheaper
22 than natural gas and getting competitive with these
23 advance coal technologies -- they're not that far
24 apart.

25 Nevertheless, I think it's -- while it would be
0054

1 my wish that we could avoid it, I don't know that
2 we can avoid it. I think there likely is a place
3 or role in our integrated resource planning for new
4 coal plants, and if we're going to go down that
5 path, I think it behooves us to do it right.

6 And I would hope that we can -- New Mexico will
7 be part of -- if we do go down -- building more
8 jurisdictional coal -- that it will be advanced
9 technology, not pulverized coal.

10 And my other interest is less acute, but
11 New Mexico is also an energy-producing state, and
12 it's likely -- right now we export electricity. We
13 export -- we're an oil and gas state, as well --
14 and we're a coal-producing state, and there are --
15 some of my colleagues here in California are some
16 of our customers, we'd like them to be bigger
17 customers, and that involves -- that involves
18 exploiting our coal resources in a way that doesn't
19 place an environmental burden on the citizens of
20 New Mexico, and, in particular, the citizens in the
21 coal-producing areas of Four Corners, who have had
22 to suffer from environmental deprivations with
23 uranium mining and now with the location of
24 thousands of megawatts of coal out there -- they
25 say, "No mas."

0055

1 So if we're going to go forward with this, we
2 need to do it in a way that respects those who
3 happen to live above that coal. And so I'm here to
4 learn and find out what options we have of going
5 forward and to continue the dialogue that's
6 developing in the western states. Thanks again for
7 having me.

8 MR. BEYER: Thank you, Commissioner. Is there
9 any other Commissioner? Commissioner Jones? Never
10 misses a chance.

11 MR. JONES: I can't pass up the opportunity.
12 Well, first of all, I'd like to welcome our
13 California commissioners. We have three eloquent
14 commissioners up here, and it's a good thing to
15 have Californians up here in the beautiful, rainy
16 Pacific Northwest.

17 One thing I would like to hear more of in the
18 afternoon panel is Wall Street analysis and how
19 Wall Street looks at these new plans. Obviously,
20 when you talk about cost recovery and directing

21 state PUCs to do certain things, we take our
22 responsibilities very carefully and very seriously,
23 and, obviously, whether it's a corporate credit
24 rating or, you know, how a base load or a wind
25 generating or a coal plant fits into the mix is

0056

1 very important information to us, and I haven't
2 heard any analysis of that yet.

3 The other point I would like to make is we have
4 one utility in our state -- Puget Sound Energy,
5 that is locating its load resource balance is
6 looming. It's right ahead of us. We hear that
7 they are looking -- as well as others -- at coal
8 plants, and really the issue is how to model the
9 uncertainty of federal legislation and political
10 risk. How do you model that in an IRP? How do you
11 develop scenarios in which -- whether it's \$8, \$10,
12 \$12, zero -- it could be higher. Mr. Gore,
13 obviously, is out with his movie. It sounds like
14 he's on the campaign trail again.

15 So there's a whole new area of political risk
16 in what the PSE -- I don't know if Eric Markel or
17 anybody from PSE is in the audience -- but what
18 they tell us is we need certainty. We need
19 certainty on how to model carbon risk and
20 mitigation strategies.

21 So I'd like to hear a little bit from our panel
22 this afternoon about, you know, looking back on the
23 nuclear scenarios that went wrong in the 1970s
24 where we did a poor job of predicting political
25 risk and load forecast. You know, what have we

0057

1 learned from that lesson and how could we do it
2 better this time around.

3 MR. BEYER: Any other commissioners? Last
4 chance. No -- there's never a last chance for
5 commissioners. Last chance comes when the ink goes
6 to the order, doesn't it?

7 Okay. We'll open it briefly to the floor -- is
8 there anybody who has questions or comments that
9 you'd like to pose to the policy panelists?

10 Could I get you to -- either shout real loud or
11 use -- there's a microphone in the middle.

12 AUDIENCE MEMBER: My name is Dan (Inaudible)
13 from Governor Richardson's office, and I wanted to
14 thank you for doing this and say Governor
15 Richardson believes very strongly that we need to
16 connect the energy hinterland to your markets and
17 to do it in a way that delivers good, clean,
18 reliable energy, including carbon.

19 And I heard the comment earlier by Chairman
20 Beyer that this is going to fall to the ratepayers.
21 There are generating states out there that are
22 saying we want to help develop these technologies
23 and put them in the marketplace. Governor
24 Richardson said let's explore the idea of coming to
25 the table with forgiveness of severance tax on coal

0058

1 for a period of time while we test sequestration
2 and figure out how to do it. Let's develop the
3 liability laws in the generating states so that you
4 can have sequestration, have it be reliable, and
5 make sure that the ratepayers don't end up carrying
6 the burden.

7 So there are things that generating states can
8 do so that this doesn't -- this exploration of new
9 carbon clean technology and energy options doesn't
10 fall just in consumer states. Thank you.

11 MR. BEYER: Thank you very much. Thank you for
12 coming.

13 I knew we'd hear from Wyoming.

14 MR. ELLENBECKER: Good morning, and I, too,
15 thank you for putting this important dialogue
16 together. I'm Steve Ellenbecker from Wyoming.
17 Please work with us to develop the criteria that
18 you set standards, which you have every right to
19 set for the procurement of coal resources. Give us
20 a chance to develop the resources that meet those
21 criteria, as you see them, as good public policy,
22 and work with us to enable those resources to be
23 built that meet the public policy criteria and
24 you're responsible and have every right to enforce.

25 I'm reaching out in a sense of partnership on

0059

1 behalf of Governor Freudenthal, asking you to
2 consider these abundant low-cost resources and work
3 with us to develop them in a way that meets your
4 needs and your customers' needs and gives us a
5 chance for abundant, reliable, low-cost resources
6 in the West.

7 This meeting is critical. Please reach out and
8 develop a partnership with us in those states that
9 have the resources that can help you keep your
10 lights on -- in addition to conservation, energy
11 efficiency, and your strong renewable portfolio
12 standards. There should be a viable place for all
13 these resources together in the future, and, again,
14 my compliments to you for holding this important
15 conference.

16 MR. BEYER: Thank you, Steve. Thank you for
17 being here.

18 Is there anyone else?

19 AUDIENCE MEMBER: Good morning, and thank you.
20 My name is Morris (Inaudible). I'm from a consumer
21 organization in San Francisco, California. I guess
22 I'd just like to just follow up on the last comment
23 and ask President Peevey or one of the California
24 commissioners how they see the potential
25 performance standard that California has adopted in

0060

1 theory for (Inaudible) base generation impacting
2 potential development of either conventional or
3 advanced coal plants throughout the West?

4 MR. PEEVEY: Well, I'll speak briefly. I

5 thought I mentioned that in the opening remarks.
6 Obviously, if we put in a carbon (Inaudible) or
7 perhaps higher -- which, Mr. Jones, I would suggest
8 you might suggest for Puget -- don't feel reluctant
9 to borrow a little bit from Southern California,
10 facing you to the south -- and have them do their
11 resource plan with that number in the mix and see
12 what it comes out to. I mean, obviously --

13 MR. JONES: Yes, sir.

14 MR. SAVAGE: We can do it right and use
15 Oregon's numbers.

16 MR. PEEVEY: It's kind of a rhetorical
17 question. I mean, I want to -- you know, applaud
18 what these folks -- Richardson and Wyoming and
19 New Mexico have said. Our governors have indicated
20 we need to work on these matters. California is
21 the big thing, (Inaudible) and everybody wants to
22 settle in California, and there's limits to what we
23 can have in California, even if all the
24 technological challenges are overcome. But we
25 will -- because there's finite limits, and we've

0061

1 put everyone, as I said, into energy efficiency and
2 renewables and so forth, and we're going to have
3 more gas in California, too.

4 But we will shape this market working with you.
5 We have an agreement to look at transmission lines
6 in Wyoming, determine the cost, helping the
7 utilities kick in on that effort. We have an
8 interest with New Mexico. It's a similar kind of
9 thing.

10 I just want to make sure that -- speaking very
11 emphatically -- that what we do not set in motion
12 some long-term detrimental consequences
13 environmentally for -- not just for California, but
14 for, indeed, the West and the U.S. and keep going.
15 But, I mean, the point is that we could help shape
16 these markets, and we intend to help shape these
17 markets. It's an, I think, appropriate and
18 responsible thing to do and totally consistent with
19 what the governor has laid out -- Governor
20 Schwarzenegger has laid out for California, and
21 there's sympathetic response, I think, by the
22 legislature in other states, and it's our challenge
23 to bring this to some meaningful resolution over
24 the next 12, 18, 24 months, and so I think we
25 intend to do that. Dian, do you want to chime in

0062

1 on this?

2 MS. GRUENEICH: No. Actually, I think that you
3 said it very, very well. But I did learn something
4 important, hanging out down at this end of the
5 table, which is that I guess that, Commissioner
6 Savage, you have a proceeding in which you will be
7 updating the carbon adder for your state and will
8 be having a proposed decision or final decision out
9 in --

10 MR. SAVAGE: About a month.
11 MS. GRUENEICH: This to me, alone, is worth
12 being here, since we obviously have the carbon
13 adder in California, and it will make a lot of
14 sense to look at what they have. That was the only
15 thing I would add. President Peevey?
16 MR. BEYER: Does anybody else want to comment?
17 Anybody else have any comment? We knew you were
18 there some place.
19 MS. GRUENEICH: Oh, Ralph.
20 MR. PEEVEY: You're supposed to wait until the
21 end of the day.
22 MR. CAVANAGH: I plan to do that, President
23 Peevey. Seeing all of you up there --
24 MR. BEYER: Ralph -- in case there's anybody
25 who may not know who you are --

0063

1 MR. CAVANAGH: Ralph Cavanagh from NRD. I do
2 not want to take this opportunity, Mr. Chairman, to
3 discuss. I wanted to do something I always wanted
4 to do, which is to wish you well and to express the
5 hope that in the course of the day we can come to
6 more of a common understanding about where climate
7 risks ought to fit in the enormously important
8 challenges of portfolio management and resources
9 development that all of you face together, and I
10 think all of us look forward to helping with that,
11 and I will reserve my substantive comments for the
12 end of the day, but I couldn't let the moment pass
13 without an invocation on behalf of all of us.

14 MR. BEYER: Thank you, Ralph.

15 MR. JANI: Good morning, my name is Andy Jani,
16 and I am from British Columbia in Canada, and I
17 just wanted to share a few thoughts on this
18 morning's issues. I'd like to congratulate you on
19 establishing this event. I think it's a worthwhile
20 cause. In British Columbia we have, of course, no
21 coal plants, but we have significant resources in
22 coal, and, of course, our neighboring state has
23 (Inaudible) and around GHG and, of course, the
24 neighboring state of Alberta (Inaudible) where they
25 are doing some immense work in terms of (Inaudible)

0064

1 sequestration. So we look forward to working with
2 all of the western states -- the standard western
3 states -- and we wish you best wishes and
4 participation in the future.

5 MR. BEYER: Thank you very much. Thanks for
6 being here. Time for one more. Is there anybody
7 else? There is not.

8 Well, I think this morning has been interesting
9 from a policy perspective. What strikes me as very
10 intriguing listening to Bill talk about where the
11 Western Governors are. It's real clear that
12 there's strong concensus to address these issues
13 and address the environmental concerns as best as
14 we can.

20 development process and the problems, if any, that
21 they've had in the development, some issues and how
22 to address them.

23 So the first speaker that I'd like to introduce
24 for today's panel is Mr. Stu Dalton, and Stu is
25 going to be addressing the technology piece.

0067

1 And Stu is -- I met him through my work with
2 the Electric Power Research Institute. He's been
3 with the Institute, EPRI, since 1976. He's done a
4 lot of work in the areas of advance coal, fuel
5 economies, and emissions control. He's currently
6 the director for EPRI's generation sector, and
7 before that time, Mr. Dalton -- before he joined
8 EPRI, he evaluated generation options, including
9 coal gasification and conventional coal at Pacific
10 Gas & Electric and worked with Babcock & Wilcox as
11 a coal boiler in the pulp and paper services as a
12 technician.

13 I'd like to give a very warm welcome, have
14 everyone give a very warm welcome to Mr. Dalton.
15 This should be a very interesting presentation, as
16 I think they all will be. Thank you.

17 (Applause)

18 MR. DALTON: Thank you, Pat, ladies and
19 gentlemen. I appreciate the opportunity for
20 several reasons: One is we had a great lead-in for
21 this afternoon's panel from this morning's session;
22 so we appreciate that.

23 You'll find out, if you've listened to me or if
24 you've heard me before, I have some passion around
25 this area. I spent a career working in

0068

1 environmental control, largely around coal plants,
2 but not entirely, and I have heard a few things
3 today that might be interesting: "If we build it,
4 we'll pay for it," was one comment that I heard
5 that I thought was very interesting, because
6 there's some comments on what makes this go, and in
7 one sense I'm going to talk about one leg of the
8 three-legged stool -- that's the technology leg --
9 and a little bit about the second leg, which is
10 economics, and the third leg is the regulatory
11 or -- and in some cases the political leg, which
12 I'm not going to talk about, and you can, but I
13 really don't hit that part. We see that all three
14 legs will be needed to hold up the technology
15 change that's going on.

16 This morning when I turned on the television, I
17 saw Al Gore in a Today Show interview on his new
18 movie. So the climate -- if you'll pardon the
19 expression -- is changing. The political climate,
20 the economic climate, the kinds of considerations
21 we heard about this morning are changing.

22 I'll make one point as I start, that I'm going
23 to be primarily talking about gasification, because
24 that's what I was asked to talk about. I can talk

25 about carbon capture and the economics of that, and
0069

1 I will make a point about that right off the bat.
2 There are two issues when you talk about CO2 capture
3 and sequestration: Capture -- the cost of it --
4 and sequestration -- feasibility of it. So at the
5 start -- and I'll be talking about the technology
6 and the cost. The end panel, later today, they'll
7 be talking about the long-term effectiveness and
8 storage.

9 The four pictures you see on this slide are of
10 four commercial gasification combined cycle plants,
11 originally all of them designed to use coal. Some
12 of them use other things now -- petroleum coke,
13 poultry litter, biomass. A lot of different things
14 have been put into some of these gasifier plants.

15 If you look at this, you may not recognize it
16 as a conventional power plant. Some of them look a
17 little more like a chemical plant. In fact, one
18 example -- this happens to be the Wabash station,
19 the ConocoPhillips, E-Gas ConocoPhillips station.
20 The power generation is that little piece there.
21 The rest is the front end -- the air separation,
22 the gasification, and the acid gas cleaner. So, in
23 effect, you're putting the emission control at the
24 front end of the plant, so you have a visualization
25 of these. I'll get back to these slides later to

0070
1 talk a little more about these plants.

2 I'm going to talk about just briefly the status
3 and the context of it, some of the competing IGCC
4 technologies, and these are changing literally
5 weekly. There's a new entrant as of last week.
6 Recent technical advances and some of the things
7 that are going on in the business and some of the
8 industry R & D efforts -- that's what I was asked
9 to talk about; so I'm going to get right to it.

10 Many people recognize we built a lot of natural
11 gas in the last few years. This is a rather
12 remarkable chart. The highest increase in
13 generation, the biggest build-out in any year in
14 any country ever occurred in the U.S. just a few
15 years ago. Why? Natural gas is going to be \$2 a
16 million BTU forever. Well, that's a little
17 overstatement, and it was not what happened. A
18 number of these same folks that built out the
19 megawatts of natural gas are in bankruptcy or have
20 had financial issues.

21 What you see here are some of the ones we think
22 are pretty well bedded on megawatts, and so you see
23 the little wedge out there. After 2010, 2011 you
24 can start building a plant or permitting a plant
25 now and seeing some of the coal come in. So there

0071
1 are some new plants being permitted, and we expect
2 to be built out.

3 Now, there are a lot more that are projected.

4 How many of those will be built? That's a good
5 question. I don't know the answer to that. Those
6 will be largely dependent on the permitting
7 process. But you can see the large combined cycle
8 build-out and simple cycle gas turbine build-out
9 and almost no coal built during roughly a 10-year
10 period before that in the U.S.

11 This -- I've modified a chart that came out of
12 one of our reports for the last year that had some
13 of the well-bedded permits and plans for coal
14 plants, some of which may not go forward. This is
15 a snapshot of last year, and overlaid on that in
16 big green triangles so they can see from the floor
17 are five of the potential sites -- I'll talk a
18 little bit more about them -- including the one
19 here, which lands right on top of us, the way I
20 drew it. Actually it would be a little further
21 toward the mouth of the Columbia and a little
22 further away, and there's a much better drawing
23 later. Pardon the artwork. I'm an engineer.

24 The other in the west, of course, is the Carson
25 refinery, BP and Edison Mission generation

0072

1 proposal, that is being proposed for Southern
2 California, with CO2 capture built into that
3 proposal. That is not coal, but it is petroleum
4 coke, which happens to be produced, among other
5 places, in California and in Washington, and so in
6 one sense it's an indigenous fuel in California and
7 Washington.

8 I'll make the point that there's a horse race
9 going on, especially in the west, and the
10 technology is in the horse race over what
11 technologies might be best for different
12 situations. We believe that is a horse race that's
13 not been run, and it has not been won yet, but
14 there are several technologies looking at CO2
15 capture, and IGCC is a leading contender.

16 The idea behind GE and ConocoPhillips
17 slurry-fed gasifiers is that they work very well on
18 bituminous coals. There's some questions on
19 sub-bituminous, Powder River Basin coals, et
20 cetera, as to the economics. There are other
21 gasifiers being looked at for some of these.

22 Right now, the way we see the economics -- and
23 there's a lot of controversy over this -- but
24 without CO2 capture, IGCC is not favored. There's a
25 differential. The differential goes up in the

0073

1 west. It's more expensive in the west than it is
2 in the eastern bituminous regions in the country.
3 Emissions are lower, surprisingly not as much lower
4 as they used to be. There's a lot of controversy
5 over just how low the emissions are from the newest
6 of pulverized coal plants. I have some data on
7 that that I'll show you in a minute.

8 New IGCC designs are being developed. It might

9 be better for western coals. One came into the
10 running last week. Siemens bought an East
11 German -- pardon me -- was East German firm, now
12 they're German -- firm that developed a version of
13 a water-cooled reactor with dry feed. It is a new
14 technology. I'll mention that in a later slide.

15 Other things -- waste coals, biomass, tire
16 drive fuels -- all sorts of things are burned with
17 fluid beds. That's another technology that can be
18 used for -- almost anything you can grind up to a
19 quarter inch and feed in.

20 Most U.S. coal plants use what people would
21 call normally conventional coal. The higher
22 temperature, higher efficiency plants that have
23 been used elsewhere in the world, haven't been used
24 much in the U.S. We haven't built anything much
25 for the last few years, and coal has been cheap.

0074

1 Well, coal is not as cheap anymore, and now more
2 and more U.S. units are looking at these more
3 advanced designs. CO2 can change this balance.

4 Simple versions of gasification -- and they are
5 simple, as I mentioned. You've got a picture up in
6 the corner to see the reality. But the simple
7 block flows have a -- you take air and distill it
8 into oxygen, nitrogen, and trace gases. In that
9 distillation process, you use a lot of energy. So
10 this air separation unit, ASU, separates O2. Coal
11 is mixed in a -- normally a powdered form or in
12 slurred form, but not in the same -- not in space
13 powder, but in small granules -- with oxygen,
14 enough to create CO and hydrogen. That's what
15 gasification is all about. And oxygen does a
16 pretty good job of breaking down the molecule and
17 causing a glassy or vitreous material to be formed,
18 a slag. That can actually be sold and used for a
19 number of purposes. It's nonleachable.

20 The gas is then cleaned up. So you have a
21 clean-up, but instead of being a duct that might be
22 from here to the other side of the room, in the
23 back end of a power plant, a flue gas, you have a
24 duct that might be my arm span, a very concentrated
25 stream at high pressure; so it's a lot easier to

0075

1 clean up, less energy, chemically easier, and then
2 you burn it.

3 Now, what most people don't seem to -- many
4 people don't realize is this idea is very clean of
5 all the criteria pollutants. The question is does
6 it have any lower CO2 emissions? And the answer is
7 no. This puts out the same amount of CO2 as a
8 conventional power plant, unless you do the item
9 down at the bottom, which is capture.

10 Capture has one different thing in it -- shift.
11 What this is is a very simple chemical reaction.
12 You take the carbon dioxide, add water, high
13 pressure, temperature, and you get hydrogen and CO2.

14 So that's the alchemy, if you will, of converting
15 carbon, coal, into hydrogen. That's the shift
16 reaction, and that's the one difference. Then you
17 can separate out sulfur and CO2, and this is what
18 FutureGen or the BP/Carson flowsheet looks at its
19 simplest.

20 There are these four existing units. None of
21 those capture CO2. There are units out there that
22 gasify coal and capture CO2. They aren't power
23 production units. These four are for IGCC. You
24 can see a little bit more in these -- it would help
25 if I point at the right thing -- the gasification

0076

1 and acid gas removal is this large removal here.
2 Air separation is this large area here. The
3 combined cycle is this smaller area over here, and
4 that's the Wabash station.

5 Puertollano in Spain was supported by the EU in
6 the development, and so was Buggenum in the
7 Netherlands. Those are both Shell gasifiers or
8 variations on Shell gasifiers to be offered then
9 with Siemens turbines on the back. The Wabash is a
10 GE turbine, but it's what's now ConocoPhillips
11 process on the front of the gasification. The Polk
12 plant in Florida is a -- what's now GE's front end
13 and GE's back end.

14 By the way, there's a lot of information in the
15 background that includes the size of all the
16 plants, the manufacturers, et cetera, that I just
17 don't have time to present; so they're in the
18 handout. Roughly 250 megawatts on all the plants.
19 All of them were supported by public monies.
20 Roughly half of each was supported by public
21 monies, and as (inaudible) up they're more
22 expensive plants.

23 This is the status, markets, and vendors all in
24 one slide. Included at the very bottom -- and
25 these are all in the handout -- at the very bottom

0077

1 is the recent acquisition by Siemens of the German
2 Future Energy. This was just announced a little
3 over a week ago and represents a move to acquire
4 something that's somewhat similar to the Shell
5 gasification in that it has water walls and has
6 some similarities to others, in that it has a
7 quench, which might make it very efficient and
8 might make it suitable for CO2 production.

9 The point on this slide, though, is there are
10 these four that are out there, 250 to 300
11 megawatts. The main needs are capital cost
12 reduction right now, because it's more expensive,
13 and availability improvement, and there's a slide
14 in the very back attachment showing availability
15 history for the world's gasification plants over
16 their first half dozen years, and the first of the
17 kind units weren't all that available the first
18 half dozen years.

19 AEP and Duke, which was previously Cinergy,
20 plan a 600-megawatt-coal-base plants. Several
21 others are in development for liquids, Syngas, et
22 cetera -- Pacific Natural Gas, rather. We believe
23 the technology needs improvement for the economics,
24 if it works, but the economics on lower end coal.

25 Petroleum Residuals -- there are a number of

0078

1 plants, and, of course, Energy Northwest and
2 British Petroleum and Edison Mission Generation
3 plan projects in that area, and the vendor teams
4 really are for GE and Bechtel, ConocoPhillips,
5 Fluor/Siemens, Shell/Uhde/Black & Veatch -- three
6 teams that most people know about -- and the
7 brand-new one with the Siemens acquisition. So
8 there's interesting commonality of names in some of
9 these.

10 The gasification idea is you -- and the red
11 object here is a gasifier. You add oxygen and a
12 coal/water slurry. The water is evaporated. The
13 coal is gasified, and you make vitreous slag.
14 That's really what happens in the gasification.

15 Then you have to recover the heat, and you get
16 a cooling of the gas. That's the radiant gas
17 cooler, and then the idea was even more cooling of
18 the gas and clean-up, and that's a simple, very
19 simple flow schematic of the Polk station. And
20 that piece is not trivial.

21 This is a during-construction photograph of the
22 gasifier itself at Polk, and you'll notice a couple
23 of comments on here. For the western audience, I
24 wanted to point out some of the issues on Powder
25 River Basin coal. The efficiency -- because

0079

1 you're -- simple way to put it is boiling water
2 with oxygen. You have to gasify coal to boil the
3 water off. It's a slurry of water and coal.
4 You're boiling it off with oxygen, and that's
5 expensive, and that hurts the economics. Now,
6 there are other reasons that aren't worth going
7 into at this point. There are new -- and right now
8 as of today, GE has not offered a PRB design. They
9 expect to later this summer, is what they have told
10 us. You can blend it or use it independently with
11 petroleum coke. That will upgrade the quality of
12 it.

13 Similarly, E-Gas ConocoPhillips -- technology
14 now owned by ConocoPhillips -- has some water
15 slurry feeds. It's an easy way to feed a solid
16 into a pressurized vessel as a slurry. If you
17 think about trying to pump rock or coal, it's not
18 easy. Pumping a slurry is easier. So there's a
19 poor efficiency, higher pressure design that offers
20 some improvement. They can blend with petroleum
21 coke. There is experience with both lignite and
22 with Powder River Basin coal, but, again, it's the
23 economics that is the question, and they're looking

24 at some new designs, multi-stage designs. This one
25 is shown as a multi-stage design. It might have

0080

1 some significant advantages when you look at CO2
2 capture technology.

3 Shell has a difference. It's dry fed. They
4 are pumping coal, in effect. They use a hopper
5 arrangement -- two valves, shove in coal,
6 pressurize it, feed it out. Putting solids through
7 valves is also not easy, and as a technical issue,
8 feeding it and getting the slag out are two of the
9 technical questions. But this has water walls, and
10 so it has some efficiency advantages. It has a dry
11 feed, and so it has an efficiency advantage on
12 western coal.

13 There are a number of other gasification
14 related projects. Not all these are IGCC, meaning
15 Integrated Gasification Combined Cycle. Some of
16 them are making Syngas, as well as some power.
17 Some of them are making Fischer-Tropes liquid or
18 proposing to make Fischer-Tropes liquid, some
19 making hydrogen. You can see the list of other
20 products down there, and this varies. This list
21 actually changes. It gets out of date very
22 quickly, and so I probably have some information
23 that might be easily out of date. When it comes to
24 putting the permit in, they have to go for the
25 final product's leg.

0081

1 But there are projects all across the U.S.,
2 many of which are supported by state incentives or
3 support, and a number of these are probably going
4 to be supported by clean coal power initiative
5 money at the federal level or by incentives.

6 You can see, though, there are a number, and
7 some of them have a little Notes/Status. FEED is
8 not what we just did at lunch. FEED is front-end
9 engineering design, and it's a multi-million-dollar
10 project that goes before you can ever get the final
11 bid. Most people think, "Well, I go out and get a
12 bid." It's not the way it works in gasification.
13 There was a presentation last October where one of
14 our AEP reps got up and said, "Well, first you
15 spend several hundred thousand dollars for a
16 feasibility study, and then you spend up to tens of
17 millions of dollars to get a design study, and then
18 you get your bids." It's a little different than,
19 "I want a new power plant. I'll go out and get
20 bids," because these are customized designs right
21 now.

22 Emissions -- there's a lot of controversy on
23 this. Last summer we had a seminar where one
24 gasification company and one combustion or
25 conventional power plant company were up right

0082

1 after each other on our podium, and one said, "Our
2 emissions are lowest." The very next person said,

3 "No, ours are." It was a very interesting tableau,
4 and I'll show you some of the numbers of both.

5 These are actual and permitted emissions from
6 the four operating IGCCs worldwide put on a common
7 basis that recognizes the efficiency of the
8 generations -- pounds per megawatt hour, not pounds
9 per heat input, pounds per megawatt hour. It's an
10 output based number. It's all correlated, and the
11 numbers for permit levels are in solid, and the
12 numbers for actual are in dashed. Notice normally
13 the actuals are lower. Well, they have to be. For
14 you to meet your permit, you have to be able to
15 operate below the -- well, it's the point of your
16 permit. And, in fact, you have to get a guarantee
17 from your manufacturer somewhere between so that
18 you can be assured you can operate below.

19 But notice that the Spain, Netherlands and two
20 U.S. are all below. Notice they're also below the
21 proposed new source performance federal standards.

22 Notice, also, that there are two on here that
23 are newly proposed and permitted. There are two
24 gasification systems that are permitted now in the
25 U.S., the Steelhead and Elm Road. Now, Elm Road

0083

1 doesn't look like it's going to get built, but it
2 does have a permit. You can see the permit numbers
3 on these.

4 And there is one other on here that's pretty
5 interesting. This is one of the most stringent
6 prefectures in Japan for emissions. It's an oil
7 based -- it's not coal -- but it's a little easier
8 to gasify oil than it is coal. But notice how low
9 the emissions are, because it's a very stringent
10 location. It is a -- again, we're just reporting
11 the data here. We're not saying how low can you
12 go. We're not saying what might be done. We're
13 just saying, "Here are the permits. Here are the
14 emissions that have been measured."

15 This is PC. Same scale. Now, normally you
16 don't use these scales, and normally you wouldn't
17 have things that are -- that look so high on there,
18 but these are actually pretty well-controlled
19 plants. They're just not 98, 99 percent emission
20 control like some of the new units are being
21 proposed for conventional coal with emission
22 controls. Elm Road and Trimble County are both
23 high-sulfur coal, and they're much lower than even
24 some of these low-sulfur coal units with
25 conventional control, and the new low-sulfur

0084

1 units -- as examples, these are permits again --
2 again, they believe they can come in at these lower
3 sorts of levels, and, again, we have a Japanese set
4 of data, including that same prefecture in Japan
5 where a conventional coal plant is sited, very low
6 emission.

7 So how low is low? What can be done? These

8 are the kinds of things that are very
9 controversial, and it really depends on the
10 guarantees.

11 What about the cost? What about the
12 efficiency? That's changing, too. If you talk --
13 right now gasification is certainly more than
14 conventional coal. How much? Well, give me the
15 context -- what state? What construction costs?
16 What coal? -- and we might be able to give you a
17 rough idea. Costs have gone up something like 20
18 percent in the last year for all the technology in
19 this area. These are a snapshot in 2004. We're
20 updating some of these.

21 But this says some of the things you need to do
22 short-term, medium-term, and long-term to bring
23 down those costs, at the same time improving -- and
24 this is with 90 percent CO2 capture, these
25 projections, and these projections are trying to

0085

1 show what kinds of R & D is needed in the time
2 frame to bring down the costs and improve the
3 efficiency at the same time. There's a lot going
4 on that is not just in the U.S., certainly not just
5 with EPRI. The DOE has many more dollars than we
6 do in this area, but it's a concerted program
7 worldwide that's really aimed at reducing the
8 costs, improving the efficiency.

9 What about CO2? Higher efficiency inherently
10 reduces cost. I delivered a paper in Florida
11 yesterday on that point, the fact that higher
12 efficiency is sort of a no-lose proposition because
13 you reduce the amount of CO2 formed, and if you have
14 to capture it, reduces the amounts that's captured
15 and stored. But neither IGCC nor conventional coal
16 inherently captures it.

17 If it's a horse race, I contend it's a team of
18 two horses on each team. On the gasification team,
19 the horse that captures CO2 -- the technology to
20 capture CO2 is fairly well proven at scale. The
21 technology for scaling it up and reducing the cost
22 of gasification is not as well proven.

23 On the combustion side, on the conventional
24 plant, the horse that is very well proven is the
25 conventional plant, not the CO2 capture, and that's

0086

1 the one that has a lot of development to be done.
2 So you've got a team of two. To finish, both have
3 to finish, and the costs are what's the levelizing
4 value. I'll show you a couple of quick ones of
5 those.

6 World efforts are aimed at that high efficiency
7 generation and then understanding how to capture
8 and safely store CO2, which we'll hear more about
9 later.

10 This is a series of what some people call the
11 kids game of pick-up sticks or pixie-sticks, where
12 you throw them all down, and you lay them on top of

13 each other. These lay on top of each other. They
14 relate to this morning's discussion, and if you
15 want a more extensive version of this, you can go
16 on something that's not EPRI's, but our CEO was
17 taped and is available online at eand -- eande --
18 eandetv.org, and they have his slide presentation,
19 his verbatim transcript and all of his slides,
20 including biomass, wind, nuclear, gas and coal.
21 This is just a subset of some of those, but that's
22 available online. I've looked at it myself. It's
23 a 41-minute presentation. He did that for
24 resources for the future about a month ago.

25 Natural gas versus PC, costs -- these are a
0087

1 midwestern site. The costs change, obviously, and
2 it is 2004. Again, the cost changed, but it's an
3 interesting comparison because it shows you against
4 the metrics. We heard an \$8 and \$40 metric, and
5 that would give you a difference even on this
6 slide.

7 The next slide shows where we think pulverized
8 coal is going without any capture, and, again, you
9 see that there's some advances in the technology
10 that we're involved in, including technology for
11 pulverized coal forward.

12 The next slide shows IGCC today, and you see a
13 bigger advance as you go out to 2020 in the
14 reduction of costs. Again, you saw some of the
15 R & D that goes into that.

16 And then what about capture? Well, right now
17 if we tried to capture from a pulverized coal plant
18 or a fluidized bed plant, it would be very
19 expensive. Soda pop is actually made from CO2
20 captured today from a fluidized bed cost plant in
21 the U.S. Most people don't know that. There's a
22 very small plant, roughly 10 megawatts, that's been
23 built with CO2 capture off the back end. It's very
24 expensive. There are a lot of advancements being
25 made in this area, but that's one of the horses.

0088

1 The more important one for this discussion is
2 here, and if you notice the crossover point is
3 right smack dab in the middle between 8 and 40 or
4 almost, and the IGCC with capture is more
5 expensive, but then once you captured it, the cost
6 doesn't go up as you have a cost of metric ton of
7 CO2.

8 This shows the gap between the two
9 technologies, and you see it's a horse race. We
10 think that that gap will be reduced, and we're
11 actually working on some title work to do exactly
12 that.

13 Just to point out there's a lot of work going
14 on -- our work on -- the DOE's work I mentioned;
15 our CoalFleet for Tomorrow Program works in all the
16 technologies; the FutureGen Alliance and work on
17 capture from pulverized coal plants.

23 the reason was that when you do the Power Point,
24 you're so constrained by the format, that you don't
25 get in all the little qualifiers that you ought to

0091

1 have on a slide. So I'm famous for getting them
2 all in and my slides being impossible to read.

3 In this case I'm going to skip over some
4 because Stu has covered some of what I would
5 otherwise cover in this presentation, but the
6 presentations are all printed. You all have copies
7 of them, and so that should be useful.

8 Let me mention -- pull out of the first
9 slide -- Stu mentioned that pulverized coal might
10 work or might be made to work for the -- may be
11 things that could improve it, and it's carbon
12 capture and so forth, and all that's true, and it's
13 worth talking about it. But I'm not religious on
14 the subject, but I think that, for plenty of
15 reasons, burning coal is inherently dirty, and we
16 should be trying to stop it. I personally won't
17 work on one of those plants, and I think that the
18 effort to find substitutes is extremely important.

19 From a climate standpoint, just let me mention,
20 that we also -- of course, I'm very avid on
21 renewables. I think we all are and every other
22 thing. I'm even very open-minded about nuclear.
23 None of them -- if you've seen the charts, none of
24 them -- we need to do all of them, but they're not
25 sufficient to deal with the climate issues. In the

0092

1 next century the climate problem is a coal problem.
2 That will be what we have to deal with. And the
3 advantage by IGCC -- the promise of it is it does
4 allow the carbon to be captured. It can be done.
5 It's feasible.

6 The first-generation method, that I call --
7 what I call -- they're all refinery based. Stu
8 knows ten times more about them than I do. But let
9 me mention that they're not anything inherently new
10 and novel. Just as Stu mentioned, they've been
11 running for a long time. 100 years ago our cities
12 got pound gas by gasifying coal. It was Syngas
13 that they got from the pound gas gasifiers. It's
14 not new.

15 The trick in IGCC turns out to be the "I."
16 That's how you integrate the electric power
17 production, and some interesting things happen as
18 you get into the design of actual plants for a
19 customer. You find some interesting things about
20 how that plant might optimally be configured. But
21 they can -- the gasification can also be used to
22 produce other things, and, in particular, that last
23 item is important. It can create pipeline quality
24 natural gas.

25 There's a chart. It's just a Siemens' generic

0093

1 chart. I'll skip it.

2 The first generation, ones that they've talked
3 about, I would say my view is a little bit
4 different from Stu's. His is better informed; so
5 mine is more free-formed. That is that I don't
6 think that there are inherent reliability problems
7 with these projects. There certainly are not
8 inherent reliability problems with the gasifiers.
9 The integration is the issue, as I mentioned.

10 And I think on cost -- we should probably spend
11 some time on that. I hope there's time in
12 questions, because I think there's a lot of
13 mythology around the costs. Within the industry,
14 if you were to -- many of the conferences, industry
15 conferences -- if you looked at the cost curve for
16 IGCC, it would look like a ski, with the tip of the
17 ski over on the left-hand side of the chart. The
18 first glance are expected to be more expensive than
19 all the rest of the plants, and the end plant is
20 where you start to get the levelized cost, and
21 everybody debates about what is the end plant. As
22 someone out in the front lines, I'm going to talk
23 about that approach that we've been trying to take,
24 persuade vendors to take, persuade others to take.

25 Coming from Seattle, I always mention Boeing.

0094

1 When Boeing builds a new aircraft, they do not take
2 the entire cost of the factory and put it onto the
3 first customer who buys the first plane.

4 This is a trillion-dollar world market, and
5 these companies all need to get their reference
6 plants built, and the cost of getting those
7 built -- some of that cost is the cost of getting
8 into this market. So this notion of the high cost
9 of the first plants is in some respects an
10 exaggerated one.

11 There are other gasification technologies. I
12 think it's important to remember the so-called
13 advanced technologies are not part of this big
14 group. The Gas Technology Institute has a handle
15 on a lot of them. You'll hear about a lot of them.
16 We represent a bunch of them. We're trying to help
17 them get commercialized. Some of them have an
18 awful lot of promise compared to the first
19 generation. They don't use refinery methods.
20 Consequently some of them are more versatile; some
21 of them are less expensive, but none of them is
22 proven yet. So until they're proven, we don't know
23 everything that could happen with them.

24 I want to mention underground coal
25 gasification. It was tried in the United States.

0095

1 It was a disaster when it was first tried. The
2 type of thing that tends to prejudice you against
3 it was people get killed in accidents some years
4 ago.

5 But there is a company -- you can look up on
6 their website -- Ergo Exergy. They're not a

7 client. I sure hope they become one, though. They
8 seem to have actually cracked this underground coal
9 gasification in a remarkable way, and they have a
10 commercial project and another one about to start.
11 They're very, very low cost. I sat with them. I
12 met with them in Montreal, and I couldn't believe
13 the cost numbers on their existing project, and
14 they said, "Of course it's cheaper. We don't have
15 to mine the coal. We don't have to build a
16 gasifier. That's why it's cheaper."

17 One of the ironies about gasification -- and it
18 will come up again today -- is that the moment that
19 the prices were -- this has a lot to do with the
20 utilities and how utilities are regulated as
21 opposed to gas markets -- but at the moment, the
22 prices actually make it better to use gasification
23 for methane or synthetic natural gas than they do
24 to make electrical power, and that's a complexity
25 to be dealt with in the commercial world.

0096

1 The report from the commercial front lines --
2 which is what I really was asked to talk about --
3 I've been working for Summit Power. Summit Power,
4 as a lot of you know, is an Oregon station headed
5 by Don Hodel, former energy secretary and former
6 Bonneville Power administrator. Earl Gjælde, who
7 was his No. 2 in both of those positions -- even
8 headed Bonneville briefly -- they have been
9 responsible for \$5 billion worth of natural gas
10 fired power plants that are now operating in the
11 United States and have gotten into IGCC.

12 My wife, too -- many people have met
13 Heather Redman -- she's the principal of Summit
14 Power. I've been out on their behalf. I've served
15 as the tip of their spear. They've been the tip of
16 the Siemens spear primarily on IGCC for a couple of
17 years, trying different approaches to see if we
18 couldn't crack some of the commercial problems, and
19 so here's my battle report: We've done seven
20 projects that we've proposed in the last two years.
21 Four of them were killed. Three of them are still
22 alive, one in the Pacific Northwest. We're the
23 low-profile IGCC plant in the Northwest, the Lower
24 Columbia project across the river from Energy
25 Northwest you're going to hear about later.

0097

1 So what killed the four? This is probably
2 interesting. First was timing. Most of these were
3 companies that were already too far down the road
4 on a pulverized coal plant and decided to take
5 their chances on sticking to the pulverized coal
6 plant.

7 Cost -- there's this idea that it costs a lot
8 more to build an IGCC plant. You need to remember
9 that when you hear that 15 to 20 percent premium,
10 first of all, think of the tip of that ski, and,
11 secondly, remember to just reverse the capital

12 costs of plant. There are other costs than the
13 capital.

14 Availability -- there's this idea that the
15 availability of IGCC is poor. There's some reasons
16 for that, but I think it's essentially a myth. A
17 lot of these companies went out and pinged the
18 market about 18 months ago, and they found there
19 were no full-wrap warranties available from the
20 vendors who were going to build the plant, which
21 meant they weren't going to be able to finance
22 them, and they still believe that, and they go home
23 and tell their boards that today and their
24 commissions that today, and but you'll hear from
25 everybody here that that's no longer true.

0098

1 The inflexibility to fuel -- Energy Northwest
2 has been creative about this. You're going to hear
3 some more about that from Tom, I guess, if he
4 speaks, but these first generation plants are
5 pretty -- they're designed sort of the way you
6 would design a refinery, the gasifiers, and they're
7 pretty dependent on that fuel stream that you pick
8 to begin with, and if you get too far off that
9 stream, there are efficiency issues, and some
10 companies look at that, and they think, "Boy, I
11 don't want to be locked into the life of this plant
12 for one particular coal supplier," or "I don't want
13 to be dependent on a railroad," or whatever. So
14 they have reasons that that troubles them.

15 There have been some surprise attacks -- this
16 is all the battlefield analogies here -- surprise
17 attacks by the pulverized coal bidders. The
18 pulverized coal bids during the course of the last
19 year have just been going up and up and up and up,
20 and actually it goes up faster than it does for
21 IGCC for specific reasons. Consequently, IGCC was
22 starting to gain an advantage against pulverized
23 coal in actual competitions of utilities opening
24 bids, but there have been some bidders who have
25 decided to come in on low cost on pulverized coal.

0099

1 Carbon risk, the fear of perverse effect for
2 IGCC -- I'm going to talk about this in a bit.
3 This is the thing that drives Ralph Cabana nuts.
4 Ralph is in the audience here, and he's probably
5 responsible for my being here today. I want the
6 world to know if Ralph were in charge of all this,
7 it would come out, and we wouldn't have to worry
8 about this issue, because Ralph's views on it are
9 absolutely correct, and there's also a concern
10 among the utilities that has to do with the whole
11 acquisition process and how they're regulated, how
12 this will affect them.

13 The -- what accounts for the three that are
14 still alive, as opposed to the four that died? I
15 should mention one of those four also ran into the
16 problem with a partially completed nuclear power

17 plant, which people think they can complete more
18 cheaply than building this plant.

19 What accounts for survivors? Well, the first
20 is that -- at least in the ones we've been working
21 on -- our whole approach has been to not waste our
22 time trying to tell somebody that they ought to buy
23 something that's going to cost them 15 percent more
24 than the alternative. I don't know why anyone
25 would want to waste their time on that. Our whole

0100

1 approach has been to avoid government funding,
2 government spending, because it tends to slow you
3 down, and the FEED study approach that Stu
4 mentioned, my own view is that that is fatal to the
5 sale of IGCC. For all the work we've all been
6 doing, there's not a single one of these plants
7 under construction today in the United States, and
8 this FEED study approach where you say, "Let's go
9 spend \$15 million to design the plant, and then
10 we'll tell the customer what price he's going to
11 pay," this is deadly for selling plants. So we've
12 tried to find ways to have commercial terms that
13 take that pioneer's penalty off the utility or off
14 the IPT at least in some significant extent.

15 We've also found in configuring them that if
16 you add some methanations, some synthetic natural
17 gas productions to the total mix, you're able to
18 reduce the total cost, improve the total returns.
19 We try to retain the flexibility to swap in these
20 advance technologies or the one that Stu just
21 mentioned, that Siemens just bought; so if you can
22 improve the performance without any expense to the
23 customer, as you go down the road, have that
24 ability to do that, and then concentrate on who are
25 the best candidate buyers.

0101

1 So who are they? Who are the best people to
2 buy these technologies? Well, first of all they
3 ought to be entities that aren't too far down the
4 road on a big plant. They should have some good
5 prospect somewhere for carbon sequestration at some
6 point, because they are all concerned about what
7 will happen on the carbon risk.

8 They have to be in tune, I think, with the
9 national environmental groups, who are the ones who
10 really have figured out the importance of this IGCC
11 technology, and they have to be companies or
12 entities that for some reason are poised for a
13 strategic business decision. We all know
14 "strategic" means bad business deal, and those are
15 the kind of people you want to deal with.

16 The calculus of risk on carbon capture -- from
17 the plant owner's perspective, the standard
18 argument, the one I agree with is if you make it,
19 if you do this plant and it's carbon capture
20 ready -- you retrofit it -- then you're in the best
21 position you could be when the world of caps and

22 trades comes, and it's coming inevitably. I think
23 Ralph believes it; I believe it, and I think it
24 should be persuasive.

25 But there is a counter argument. I know it's

0102

1 real because I've run into it, the utilities who
2 say, "I think I'll stick with my plants through the
3 pulverized coal plant," because they believe
4 they're going to be able to get grandfathered out
5 of any scheme like that when the time comes, and
6 when you say, "That's ridiculous. No one has ever
7 suggested that anybody is going to be grandfathered
8 out of it," people say, "Look at the Energy Act.
9 Tell me how you think that got written. If we have
10 IGCC and we're able to capture the carbon, we're
11 going to have to do it, but if we build the last
12 pulverized coal plant, you know, we'll be able to
13 plead with our congressional delegation to get us
14 an exemption." I think it's ridiculous, but there
15 are people who believe that.

16 There are solutions to this. We can talk about
17 some of those, but we try to deal with that
18 commercially in a variety of ways. I think from a
19 public policy standpoint, what we need is an early
20 adopter program. We need an incentive. We need
21 sort of like a free pass for the first ten plants
22 in some form or another. Say, "You build this
23 plant. You be the one that's responsible for these
24 reference plants getting built. You're
25 contributing to the whole global" -- "solving a

0103

1 global problem. We sure as hell are going to give
2 you some sort of a pass, compared to your
3 colleagues as opposed to creating -- having
4 incentives be the other way around."

5 From a climate perspective -- this matters in
6 the Northwest particularly, you know, the calculus
7 of risk about these plants. The first question is
8 should we support any of these plants without
9 carbon capture and sequestration from day one? And
10 so the standard argument, which I don't agree with
11 is, no, we shouldn't do that, because even though
12 they're better than gas plants, better than
13 pulverized coal, they're not better than gasifier
14 plants.

15 I think the counter argument is very basic, and
16 I think it's true. The key is to get pulverized
17 coal plants replaced as fast as possible with
18 another technology. IGCC could do it, and when
19 they're built, those reference plants are done, and
20 I think you come back, and you deal with the issues
21 of carbon capture with them. But to hold them up
22 waiting for this is just to allow more pulverized
23 coal plants to be built at an incredible rate.

24 And the second issue -- of course, the
25 Northwest issue is should we support them here,

0104

1 because people in the Northwest say, "Well, we
2 don't need coal in the Northwest." So I think the
3 same argument applies above, but, in addition, you
4 know, we ought to think globally.

5 Again, the key for all of these consortiums is
6 to get these reference plants designs built. You
7 know, I've dealt with the Chinese. The Chinese
8 say, "Why don't they come over here and build them
9 in China?" I've dealt with the China embassy on
10 this, and I said, "Well, they have three reasons:
11 They think you're going to steal the technology,"
12 and the Chinese said, "Hitler had this technology.
13 I mean, what is there to steal?"

14 "The second thing is they think they're not
15 going to get paid," and the Chinese say, "We can
16 arrange that through the Hong Kong banks," and I
17 said, "Yep, we can do that."

18 And I said, "But the third thing is they don't
19 have their reference plants built yet, and if
20 you're going to build your reference plants, you
21 probably want to build it down the street where you
22 can run down to the hardware store if you need
23 something, compared to building it on the other
24 side of the world." This is what's holding it up,
25 folks, is to get these reference plants built.

0105

1 The utilities' concerns of -- the regulatory
2 concerns of the utilities, though, are real. The
3 paradigm that we're all having to live with is AEP,
4 General Electric and, in the Midwest, PUCs, where
5 this notion of, "Give us preapproval for 10 or 15
6 or 20 percent more, a cost premium, and we'll get
7 this IGCC built," and that's been the battleground
8 for -- what? -- the last two or three years, and it
9 looks like it's going to happen. I think it's
10 really slowed down IGCC to do that. If I were a
11 commissioner -- which I'm not -- but if I were czar
12 of all the commissioners, the head of NERU,
13 whatever, and I could adopt it as a policy, what I
14 would suggest to you is to say to those utilities,
15 "Do gasification." It's what they should be doing.
16 Don't pay extra for it, and get the utilities to go
17 deal with that, and get the vendors to deal with
18 that. That's the way we're going to get this thing
19 done.

20 There are several ways -- I've mentioned four
21 here -- there are several ways to do it. Of
22 course, if you can configure the plant to include
23 the methanation, it makes the plant cheaper. It
24 makes the real economics of the plant cheaper,
25 because it's just inherently cheaper to build a

0106

1 methanator for half of the Syngas than to build
2 electric power, which generates half. Plus most of
3 these entities have gasifier power plants that are
4 sitting idle for lack of methane; so it improves
5 the economics greatly.

6 Make the comparison fair. Don't just look at
7 the capital cost of the installed capacity for
8 something that's more efficient, that doesn't put
9 out sulfur, that doesn't put out mercury, that
10 allows the carbon to be captured, that has the
11 ability to be flexible to use these different
12 fuels. You know, let's get the apples to oranges
13 out of the comparison to pulverized coal.

14 Preserve the ability to -- to switch to advance
15 gasifiers later, because they are definitely
16 coming, and I think induce the project vendors to
17 bite the bullet. You know, you need to say to
18 them, "You're Boeing. You've got a trillion dollar
19 market. It's worth getting this plant built. If
20 you will build a plant at a price that works for
21 our utility, there will be lots of understanding
22 and a lot of cooperation in getting the plant
23 built, and you'll have a reference plant you can go
24 sell."

25 What about the process concerns? We've run

0107

1 into this big time with utilities as a potential
2 buyer, which is why the first of these plants
3 ironically might end up being owned by private
4 equity and IPPs.

5 They weren't thinking -- the investors and the
6 utilities initially weren't thinking about IGCC
7 when they did their last integrated resource plans.
8 So you can come in with them today -- and there are
9 people in the room that can vouch for this, because
10 I can see them -- where we've gone in and said, "We
11 will make you this offer at this price for output
12 of power and this price output for methane, both of
13 which are below market, both of which are cheaper
14 than you're going to get in any RFP process that
15 you do," and they are as professionals, but with a
16 problem as a deer in the headlights and say, "What
17 do I do now? I go to my commission and say,
18 'Something turned up that was cheaper than what I
19 knew about when I did my RFP plan.' Gee, you know,
20 if you guys say jump, they say how high, but if you
21 don't say jump, they're not going to jump on this
22 and figure out how to solve this, and this is
23 certainly true -- Stu mentioned it. It's critical.
24 You cannot -- Tom may contradict me, and if he
25 does, I'll be very interested to hear his report.

0108

1 But for the utilities, generally, investor
2 utilities, you're not going to be able to buy these
3 plants through an RFP process. This plant has to
4 be designed specifically for the customer. There
5 are 100 choices to make in what the customer wants
6 in that plant, and until those choices have been
7 made, you can't price it, you know, completely,
8 definitively and so forth. They're not
9 off-the-shelf items like the combined cycle plants.
10 So it's not suitable for an RFP process; it's only

11 suitable to bilateral negotiation.

12 One of my partners, who appears in front of you
13 all on behalf of Vestron Utilities, says, "Tell
14 them they should make a special pre-approval
15 process for this. I don't know if you should or
16 not, but I do know that for the investor-owned
17 utilities, at least" -- and they're so critical to
18 the electric power side of IGCC" -- it's really in
19 your hands."

20 This is my last slide. Some of you have seen
21 this because you've heard me do presentations
22 before, and I never leave it out. Last year I got
23 to stand at Mauna Loa with Jim Hansen. Dr. Hansen
24 was by my side and took this picture. We drove all
25 the way up there to see this plaque. This is a

0109

1 spot where Charles Keeling decided to start
2 measuring CO₂, and look at that curve. That one
3 only goes out to 1997. If you continued today in
4 bronze, it would be intersecting with "1958" that
5 you see on the right side there.

6 CO₂ is increasing by two parts per million a
7 year, and it was only 300 parts per million in the
8 year 1900, and to me it's this curve that we're all
9 about here.

10 Inside this building there's a different curve
11 on the wall. It's the curve for CFCs. Do you
12 remember CFCs? Fluoro-hydrocarbons, the carbons
13 that were found to be creating an ozone in the
14 universe in 1985 -- not in the universe-- in the
15 polar atmosphere. By 1987 CFCs had peaked because
16 we decided to get off that, and Hansen and I stood
17 there and watched the curve at Mauna Loa -- the CFC
18 curve has now turned down for the first time. CFC
19 concentration in the atmosphere has turned down.
20 It turned down because people decided to go do
21 something to turn it down. This curve we really
22 have to turn down. Thank you very much.

23 (Applause)

24 MR. OSHIE: Our next speaker -- and we're going
25 to be running a little long on this panel. We

0110

1 started late, as well -- is Mike Degernes. Mike
2 worked for the Washington Utilities Commission a
3 long time ago as an economist, and he has since
4 moved on, as they say. He worked for PacifiCorp,
5 from there served as the assistant treasurer and
6 vice president of finance. He then went to work
7 for Bank of America. With Bank of America he was
8 the managing director of their electric utilities
9 independent power fixed income research. He also
10 served as their senior VP of industry research of
11 Bank of America covering electric, gas, and water
12 utilities.

13 He's now the senior credit analyst for Aberdeen
14 Asset Management, covering the electric, power,
15 chemical and health care industries. So please a

16 warm welcome for Mike Degernes.

17 MR. DEGERNES: When Pat called me and asked me
18 if I was interested in speaking, he asked me to
19 really talk about what does it take to get one of
20 these projects financed, and I guess the summary is
21 properly designed, in terms of financing and the
22 structure, these plants are easy to finance. The
23 problem is getting everybody to agree on who takes
24 what risks and how they're going to be divvied up
25 and who gets paid for it.

0111

1 As a historical perspective, the last two
2 construction building cycles for the utility
3 industry didn't end very well for the industry.
4 When I was up at the Washington Utility and
5 Transportation Commission in the early '80s, we
6 were there trying to deal with who was going to pay
7 for nuclear power plants that either were going to
8 be built and extremely expensive or weren't going
9 to get built and who paid for the cost of that.

10 Then earlier this decade with the merger
11 generators, they overbuilt, they misforecasted the
12 cost of power, and you had a number of
13 bankruptcies. Financial institutions ended up
14 taking back power plants. They're selling at a
15 fraction of their new construction costs.

16 The problem in the '80s led a number of
17 utilities to say they weren't going to build
18 anymore power plants, and they were happy to see
19 the merchant companies come in and take over, and
20 that was because they felt there was a
21 misallocation of the risk.

22 The next point there, "Regulation is political
23 as well as financial" -- it's easy to be a
24 regulator when prices are stable. It's not so easy
25 when prices are going up, and when you get into a

0112

1 new construction cycle or when there's a shift
2 change in the price of energy, it gets very
3 difficult to be a regulator, because the financial
4 rules say you have to raise rates, but you've got
5 politicians that are either elected commissioners
6 or appointed by a politician, and the governor will
7 get involved. We're seeing that now in different
8 parts of the country where deregulation -- price
9 freezes are coming to an end, and suddenly the
10 governor -- it becomes an issue in a governor's
11 election. So you have to keep in mind as an
12 investor that it's not only the financial decision,
13 but also the political decision on getting these
14 things financed.

15 Regulation -- and I've always felt this --
16 tends to discourage risk-taking. The penalty for
17 being wrong always exceeds the reward for being
18 right, and it doesn't -- it just doesn't work well
19 to be a risk-taker in the utility industry, and
20 many of the managements haven't been brought up in

21 a culture to take big risks.

22 In terms of experimental projects, which in
23 many investor's point of view IGCC is an
24 experimental technology today, utilities and the
25 regulatory framework really doesn't handle

0113

1 allocating those risks and dealing with
2 experimental techniques. If it works, fine. If it
3 doesn't, you know, regulators find it very
4 difficult to pass those costs onto consumers and
5 probably for good policy reasons. Consumers really
6 aren't the appropriate party to take these risks,
7 but, you know, neither are utility investors in
8 many cases.

9 Whenever you get into a major construction
10 program, the credit profile of the company
11 deteriorates. Even when in states that are deemed
12 to have strong regulatory climates and strong in
13 the sense that investors look to those states and
14 say, "Those are a pro-company type of regulators,"
15 the financial metrics of these companies still
16 deteriorate, you know, whether they -- it's the
17 additional issuance of equity, coming to market
18 with more bonds and having that extra supply
19 depress the price or increasing the interest rates.
20 So investors know that, and when we see the next
21 round of construction, we're going to look less
22 favorably on the utility industry because of it,
23 and that's just a fact of life.

24 These are -- when I talk to other investors
25 about IGCC, these are some of the points that they

0114

1 talk about, and they may have merit; they may not.
2 It's a new unproven technology with a limited track
3 record. I mean, Stu maybe will tell you that, you
4 know, there are solutions to the problems, but
5 today we can't look to a number of operating plants
6 and say, "Yeah, it works well." It's more capital
7 intensive than either gas combined cycle or
8 conventional coal plants, and, therefore, it's
9 going to have higher capital costs, and it's going
10 to take more of our money to get it financed.

11 It may have attractive environmental
12 characteristics, may be easier to sequester the CO2,
13 and that, in effect, becomes a hedge against, you
14 know, additional costs later on. You spend it up
15 front, and you'll have fewer costs later on if you
16 have to start sequestering CO2, and it may be a
17 hedge against the more restrictive regulations. So
18 that plan may be able to continue operating with a
19 smaller capital investment.

20 When I used to testify in rate cases, when you
21 got to the issue of, "Well, investors are getting
22 paid to take those risks," I think it's important
23 to point out we don't get paid a lot to take these
24 risks. If you're buying an investment grade
25 utility bond today, 10-year bond, you're lucky to

0115

1 get 100 basis points over cost of Treasury.
2 Another way to look at it, a basis point is 1/100
3 of a percentage point; so we have a 1 percentage
4 point higher return expectation on our investments
5 than we would if we were buying government
6 Treasuries and not taking any risks.

7 Another way to look at that is if we faced more
8 than a 1 percent risk of loss, we're better off
9 just buying Treasuries and not investing in the
10 utility industry. So we're taking, as a
11 bondholder, a very, very small risk that we're not
12 going to get paid back, and to date in every
13 utility bankruptcy -- and there have been several
14 in the last 20 years -- utility bondholders,
15 particularly first mortgage bondholders, have all
16 been made whole at the end. We suffered some
17 delayed interest payments. We suffered a loss in
18 market value of the bonds, but ultimately if you
19 held those bonds through the bankruptcy, you were
20 made whole. So we didn't take a loss of risk. We
21 don't price a lot of risk into the investment.

22 On the less than investment grade, you know,
23 the NRGs of the world, they're able to issue bonds
24 today at 200 to 300 over Treasuries. Again, a
25 slight premium to what investment rate bondholders,

0116

1 but still a very small premium for the risk that we
2 aren't going to get our money back at the end of
3 the project.

4 Equity investors in the utility business --
5 regulators are giving, you know, 10 percent to
6 maybe 12 percent these days or anywhere in the 5 to
7 700 basis points or 5 percentage points to 7
8 percentage points more than Treasuries. Again,
9 still a very small risk, and if you're asking a
10 utility investor or an investor in a merchant power
11 company today to take the experimental risk, I
12 think it's very difficult, unless you define what
13 conditions are going to be placed on it so -- you
14 know, whether we shift costs to the constructor,
15 whether we shift some of the cost to ratepayers,
16 but you're going to have to define who's taking
17 some of those risks, because we don't get paid
18 enough today to step up to an experimental
19 technology.

20 If I were looking at trying to get one
21 financed, it would be easiest for me to go to my
22 credit committee and say, "Hey, I think we ought to
23 invest in this company who is building" -- "this
24 regulated utility company who is building an IGCC."
25 Assuming that regulators have signed off on the

0117

1 project, there's some decision on who's going to be
2 taking the risks, whether those risks have been
3 shifted to an engineering company or the company
4 that's sponsoring the technology, but if we go into

5 the project and I go to the credit committee and
6 say, "I think we ought to invest in these bonds,"
7 but if this plant that is going to cost a billion
8 dollars doesn't work, it's going to come out of the
9 investors' pockets, and we'll just pass and move on
10 to another investment. There are plenty of other
11 alternatives out there.

12 To properly -- if you want the utility to
13 finance it and if the regulators want that as a
14 part of the utility portfolio generation assets,
15 regulators are going to have to address some of
16 these risk issues and may well have to put them on
17 the shoulders of the ratepayers or some portion on
18 the shoulders of the ratepayers, recognizing that
19 the technology may not work or events may make the
20 plant less economic later on. You know, if natural
21 gas prices were to go back to \$3 -- you know, it's
22 probably unlikely today -- but if natural gas
23 prices go back down, the economics of these plants
24 are much worse, you know, than they are today with
25 the high price of natural gas. So you have to

0118

1 define who's going to take that risk if the
2 alternative energy prices go against the project.

3 Regulators can do a number of things to
4 encourage the construction. They can approve it
5 prior -- you know, approve the budget, approve the
6 project, and as long as it comes within that,
7 there's no risk to the investors that it won't get
8 added to rate base. They can provide construction
9 work and progress in the rate bases, an anathema
10 to some regulators, but it basically says that
11 current customers are going to be paying for the
12 cost of construction -- that the capital costs
13 during construction, rather than deferring those
14 and letting future ratepayers pay those costs.

15 If you want to discourage it, you wait until
16 the end of the project, and then you second guess
17 the company and say, "Okay. Well, now let's look
18 at it. It takes three years to build. Let's look
19 at it now in hindsight. Was it a good deal?" and
20 don't look at it from the perspective of what --
21 what they went into it. They could capitalize
22 HEDC, which basically says, "We're going to
23 capitalize the interest and equity cost of the
24 plant, add it to the cost of the plant, and future
25 rate-payers will pay those, not current

0119

1 ratepayers." That makes the current company's
2 credit metrics much weaker.

3 If you want to project-finance it, the No. 1
4 requirement for project finances -- somebody is
5 going to have to pay the revenue that pays the
6 operating cost of the plant, pays the interest on
7 the bonds and basically returns the money to
8 investors over the life of the project, and without
9 a very strong contract with a strong creditworthy

10 party, you can't get project financing. All
11 project financing does is shift the risk to
12 somebody with deep pockets, and in many cases those
13 deep pockets have been the rate-payers. A utility
14 will sign a long-term contract with a
15 non-investment grade generating company, who takes
16 that contract to the bank, borrows money against
17 that contract and gets the project financed, but
18 the bank isn't looking at the Calpines of the world
19 and say, "They're a great credit." They're looking
20 at the California customers and saying, "Well, we
21 know that those customers are going to be forced to
22 continue to pay the power, and that money will flow
23 through, and then we'll capture it in various
24 revenue accounts before it actually can be used by
25 Calpine for anything else," and so they structure

0120

1 the project basically to minimize Calpine -- I'm
2 picking on Calpine -- but minimize the impact of
3 that weaker company's credit and pass the cost
4 onto -- or pass the risks onto the deeper pockets,
5 the stronger companies.

6 You also need an established construction
7 engineering firm. If they can get a wrap of some
8 kind guaranteeing that the project works, you need
9 an established operator, because most of the
10 contracts don't pay if the plant doesn't run, and
11 there's no revenue there, and you want to have
12 technology that there's not a lot of risk there.

13 The final group -- and, really, it's a much
14 smaller universe today than it was a few years
15 ago -- are the merchant generators. I'll use NRG
16 as an example. They're big enough, they've got
17 enough track record, they could probably go out and
18 build one of these plants and get it financed,
19 albeit more expensive than their current financing,
20 but they're unlikely to do it, especially if they
21 don't have a contract, because the output is going
22 to be more expensive, and they're subject to the
23 whims of the market, and they can't sell their
24 power for any more just because it comes from a
25 more expensive generating source. So I don't think

0121

1 you're going to see many of the merchant generators
2 actually stepping up and doing these types of
3 projects.

4 My guess will be that the regulated utilities
5 will be where the first several plants get built
6 and only in areas where they have strong support
7 from regulators. AEP is one of the ones that was
8 talked about earlier today. The Ohio Commission
9 has authorized them to recover the first-year
10 engineering costs on an IGCC, and it's going to be,
11 I think, in the neighborhood of \$26 million for the
12 first-year engineering costs, and those costs can
13 be passed onto consumers even if the plant never
14 gets built. So they've taken -- the regulatories

15 have decided as a policy matter that they want this
16 type of plant built in their state, and they're
17 willing to pass those costs onto consumers ahead of
18 time, and AEP has said without that, they won't
19 proceed. So it's a risk that even one of the
20 largest utility companies in the country is
21 unwilling to take without strong regulatory
22 support.

23 Given that we're kind of running out of time a
24 little bit, I will kind of pass over the rating
25 agency, the risk -- the reaction of the financial

0122

1 market of the rating agencies and bondholders and
2 equities.

3 But generally, to summarize it, they are going
4 to be less -- less excited to see another round of
5 construction, regardless of the type of
6 construction because of credit metrics
7 deteriorating, and if you're going with a new
8 technology or an unproven technology, they're going
9 to be much less willing to assign higher ratings or
10 the same bond ratings to the market because of the
11 additional risks, and regulators or somebody is
12 going to have to make up the difference to persuade
13 them that really it isn't as bad as it was the last
14 two times around if you get the construction. So
15 thank you.

16

(Applause)

17 MR. OSHIE: The last speaker of the afternoon
18 is Tom Krueger, and Tom is the lead developer of
19 the Pacific Mountain Energy Project, which is an
20 IGCC plant that is being at least projected to be
21 built in the state of Washington, and they're in
22 the development process.

23 Tom has been around the industry for a number
24 of years, somewhere around 25. He's developed
25 several energy projects, both in, I'd say,

0123

1 conventional generation and biofuels, and he's
2 going to close out this panel. He's going to, you
3 know, talk generally about the issues that they are
4 facing with Pacific Mountain.

5 Because this panel has run later than we
6 expected, we're going to hold the questions until
7 the end of the carbon sequestration panel, and
8 we're going to shorten the break down, and it will
9 be -- we'll take a 10-minute break after
10 Mr. Krueger is finished. So thank you very much.

11 MR. KRUEGER: Gosh, you're getting a lot of
12 information today. This actually reminds me of
13 about a decade ago or so when we were talking about
14 natural gas plants, and this is not an unusual
15 circumstance when we're looking at new
16 technologies. We were doing coal plants and
17 nuclear plants before that. We were looking at
18 deployment of natural gas plants, and we had these
19 same kind of stories, and you're not going to see

20 everything in alignment. So at the end of the day,
21 as a developer, what I have to do is I have to take
22 the uncertainties -- I have to herd all these cats
23 together and take the uncertainties out of the
24 project, and it has to get financed. So at the end
25 of the day, we have to take the risks out of it, or

0124

1 it won't get financed, and that's what we can
2 assure the utility commissions, as well as the
3 utilities, apart from paying for these projects.
4 Because we are running a little short of time,
5 I'm going to move ahead and probably miss -- skip
6 the -- how do we get this going? There we are --
7 I'm going to skip the introductory portions of
8 this, but I think it's good that you have it for
9 your personal context, and I'll just get right into
10 the IGCC plant that we call Pacific Mountain
11 Energy.

12 And I'll start out by just giving a little bit
13 of context. Our job at Energy Northwest is to
14 provide our members and regional utilities energy
15 options. We're developing a lot of renewables --
16 wind, biomass. We have a solar project, and so I
17 don't want to say that this project in anyway
18 overshadows those projects. We're committed to
19 renewables and moving forward in that area.

20 This is a base-load project. So we're looking
21 at a need for a new base-load project in the
22 Northwest, and we think IGCC makes sense because it
23 fits some basic design and business principles that
24 we have been kind of directed by our utilities to
25 do.

0125

1 The first one of those is we need to be a
2 low-cost, competitive resource in the region, and
3 we need to find a way to overcome the transmission
4 constraints that we have in this region, and it
5 makes sense to put a project closer to the load
6 centers, and so that's one of the other criteria we
7 looked at.

8 It makes sense to look at a technology that can
9 use diversity in fuels. We're not stuck to one
10 fuel like we've been with natural gas. People like
11 that kind of option, and maybe even the most
12 important is it has to be environmental, and it has
13 to -- when we talk about environmental, it's not
14 just the regulated emissions; it's GHGs, as well.
15 So we're looking at greenhouse gases, and we think
16 IGCCs makes the most sense in the state of
17 Washington and the Northwest.

18 We're looking at a 600-megawatt project not
19 only because we get the economies of scale at that
20 level, but this is the reference plant that all the
21 technology providers are providing. So just like
22 we were talking about with the natural gas plants
23 years ago, they eventually became very unified and
24 standardized, and that became financeable, and we

25 could move very quickly both permitting and on the

0126

1 financing side.

2 So IGCC -- and when you hear about
3 commercialization, that's one of the big steps that
4 IGCC is making today is the big vendors, and I'll
5 talk more about them, and you've heard about some
6 of their names. They're working hard on these
7 front-end engineering packages, and they're going
8 to continually try to make them a reference plant,
9 and we're going to utilize that in our project.
10 I'll tell you more about it.

11 Flexible fuel design -- we have -- and we
12 looked at -- part of this, when you look at siting
13 a project, is you have to look at where the site
14 is, and so when we looked at a site, we looked at
15 multiple coal sources, delivery options. We looked
16 at the -- but more importantly in the West -- what
17 we have going in the West is we have a growing
18 supply of a waste product, and that's called
19 petroleum coke, and the reason we have that is
20 you've noticed your gasoline prices going up, and
21 that's because we're kind of short of oil, and as
22 the price of oil exceeded \$35 a barrel, it then
23 became cost effective to start to look at the heavy
24 sour crudes that we have in Alberta, and we have
25 those oil shales in Colorado, and those reserves

0127

1 are very significant. They're as big as the
2 reserves in Saudi Arabia.

3 So right now you have major projects going on
4 to capture this heavy crude, and so you're going to
5 see the refineries in the West start to move from
6 processing light sweet crudes to a heavy sour
7 crude. "Sour" means it has a lot of sulfur in it.
8 So you can't burn that in a conventional boiler or
9 a coal plant. You can take that product, and you
10 can transform it into a gas in a gasification plant
11 and take the sulfur out.

12 So we have the flexibility -- and we talked a
13 little bit about that before -- we have the
14 flexibility of using not only coal; we can use
15 petroleum coke, which is a higher BTU component to
16 it, which makes it more efficient and also lowers
17 the CO2. So the CO2 production is really going to
18 be based on the heat rate or efficiency of your
19 project, and so IGCC is a way to take solid
20 feedstock and do that in a very efficient way.

21 Natural gas -- we are going to be using natural
22 gas to actually start up a gasifier. We always
23 have that available to run these gas turbines. The
24 Syngas programs can run on natural gas, as well as
25 Syngas, which is the hydrogen CO that you heard

0128

1 about earlier. So that gives you the ability to do
2 fuel-switching, and you're not going to have to do
3 it with oil as your alternative. You can start to

4 do it with clean alternatives and clean gases that
5 you manage.

6 So what we end up with is a competitive cost of
7 power, and the reason that we have that is we have
8 these abundant feed stocks, but also with the
9 petroleum coke, we're actually going to see a
10 supply increase over the next five years that's
11 tripling today's market, which is about 14 million
12 tons a year, and so we're going to have this -- as
13 a matter of fact, I was talking to a broker just
14 the other day, and he said, "You're seeing the pet
15 coke go from a commodity to actually becoming a
16 disposal product," and so it's actually net zero at
17 Long Beach right now, and they're taking that over
18 to Japan, and they're getting the pet coke for just
19 the cost of transportation. That can help a lot.
20 So not only are we able to help our project
21 economics with that, but we're actually helping get
22 rid of a waste product.

23 Favorable emissions profile -- we'll talk more
24 about that, and, gosh, I'll tell you working in
25 Kalama and Longview where we're putting this

0129

1 project, they're pretty excited about it. It's new
2 jobs, new capital investments, and the capital
3 investment is significant. It's expensive. So
4 we'll be bringing into it up to 500 to 1,000
5 construction jobs for a pretty extended period of
6 time. It's not like a natural gas plant that you
7 put up in a year and a half. You actually take
8 three to four years to build one of these projects,
9 and that's why it's important to work on it today.

10 And we're excited about being near the load
11 centers, again, and hopefully that provides us some
12 transmission grid stability and helps BPA.

13 So we've decided -- we've looked at, you know,
14 a lot of different sites. We looked at all the
15 sites in the region, and to meet the criteria I
16 talked about, we chose the site at the Port of
17 Kalama, and this is a very attractive site. It's
18 about -- almost 40 miles north of here. It's right
19 along I-5 and the Columbia River, and that gives us
20 access to the good transportation systems that we
21 need.

22 And it's in an industrial area, in an
23 industrial court. So one of the things that we
24 look at is having the least impact of all -- visual
25 impact, infrastructure impact, having the workers

0130

1 kind of fit into the neighborhood; so this is a
2 heavy industrial area up there. There's chemical
3 plants. There's paper mills. There's a steel
4 processing company right next to us, and so it has
5 the infrastructure, and so we don't have to build
6 that. We're not having an impact on that. We have
7 the water available. We have the rail there. We
8 have actually two rails -- UP and BN. We have dock

9 access, and we have a permitted dock expansion.
10 We have, like I mentioned, the two rails. We
11 have truck. We have the Northwest pipeline just
12 right at the Port of Kalama; so we can interconnect
13 to that line. We're not going to have to build
14 significant transmission either, but we can connect
15 into the Longview sub where the electric plant used
16 to be.

17 Here's an aerial site, picture of this site,
18 and it's a little bit old. So the site actually
19 has been expanded closer to the river, and here's
20 the rail lines right here. This is a 600-foot
21 dock. So these things are already in place. It's
22 permitted right now to be expanded 1,000 feet. The
23 water rights are there.

24 And the other thing that's really exciting
25 about this that we don't always think about is what

0131

1 is the constructability of the project. So the
2 contractors and the vendors are really excited
3 about they can do module construction. They can go
4 to big fab shops in different parts of the country,
5 and they can bring in these pieces in one piece on
6 a ship or a barge, and they don't have to worry
7 about going through tunnels and trains and building
8 so many pieces on site. The construction can be
9 much more efficient, and it can reduce their cost.

10 Here's just a picture of transmissions. I know
11 you're not all transmission experts, but this just
12 gives you a sense of the transmission on the
13 western side of the state, and that's what we're
14 connecting. So there's still problems. There's
15 some congestion going south, but the impacts are a
16 lot smaller than in other locations.

17 Here's a -- just a preliminary graphic. We're
18 actually working on an updated version. I'll just
19 point out a couple things, though, that I think are
20 very significant. We have this designed for a loop
21 track, and so we can bring in 135-unit trains.
22 That is the way that the industry works. They
23 don't really like to have small trains. They like
24 a unit train that they -- it's very efficient. It
25 just comes in. It literally slows down, comes in

0132

1 here, slows down to about a mile and a half an
2 hour, goes through an enclosed
3 high-speed-unloading-bottom-dump system that's
4 enclosed; so we're not having dust from that, and
5 the feed stocks go into enclosed domes, and these
6 domes are not -- you don't see them out here, but
7 they're all over the place. You usually just don't
8 see them because they're not economical, but these
9 are easy to manage the product. You're not going
10 to have dust; you're not going to have fire, and so
11 we fit well into the neighborhood. So we're taking
12 every step we can to be environmental, and to give
13 you a sense of that, in the state of Washington the

14 permit for a coal pile is a wind fence, and so
15 we're going the extra miles, not just with IGCC,
16 but with the whole project.

17 Operation characteristics -- I'll go through
18 that pretty quickly. Like I mentioned before, you
19 have ability to use different feed stocks, and one
20 of the potential future feed stocks for us -- but,
21 again, because of financing, I've got to keep a
22 certainty to this project -- but one of the future
23 feed stocks would be paper sludge. There happens
24 to be about 175 tons a day of paper sludge produced
25 in this area, and so maybe we can help remove that.

0133

1 It's generally getting burnt in boilers, and it's
2 getting landfilled. That's another economic and
3 environmental opportunity of the future.

4 We have an attractive heat rate. So we're
5 doing all this processing, but we're at a very
6 competitive heat rate, and the availability that
7 you'll hear talked about -- it actually -- it can
8 be improved very easily by putting in a spare
9 gasifier, and so that's where most of the
10 maintenance are, and that's where you can manage
11 your maintenance, and you can take the system out
12 and put in another gasifier.

13 Fuel adaptability -- you can actually adjust
14 the blends on the fly. You can ramp down to
15 50 percent without any significant deterioration.
16 You can do that at about 10 percent a minute. It's
17 a pretty fast ramp-down. The ramping up isn't too
18 fast, but I guess the point is it's not big. You
19 know, it's not days. It's hours, not days, and so
20 you can actually have some flexibility on managing
21 your loads.

22 But all this is good stuff, but just like you
23 heard from the other speakers, unless we can
24 finance this project, we wouldn't be promoting it.
25 So we're talking hard and working with all the

0134

1 major alliances, and like you heard earlier, there
2 now is a new one, and that's Siemens. That
3 technology probably won't be ready for our project,
4 but we are working with all three of these major
5 alliances, and they are offering a fixed-price
6 turnkey EPC -- "EPC" is engineering, procurement,
7 construction. So they'll take the project, and
8 they'll deliver an operating project with
9 performance guarantees, with liquidated damages to
10 protect that and equipment warranties, and I guess
11 with that, that's the kind of stuff we had for
12 natural gas plants, and that's how we could finance
13 them.

14 We're doing a little bit of a unique process
15 here at Energy Northwest in that we're not going to
16 go out and spend 10 or \$15 million on a front-end
17 engineering package and be locked into a technology
18 and then negotiate the cost of the project, and

19 just like Eric was saying, the whole industry --
20 that's a barrier to industries. So if GE and
21 ConocoPhillips want to move this ahead, they
22 understand that. They're hearing that from the
23 entire industry, and they're moving really hard and
24 fast to produce these reference plants.

25 And so we're working on a process where we're
0135

1 going to use the alternative public works process
2 in the state of Washington, and it's a negotiated
3 process, and we've already started that. Here's
4 kind of a -- not a very good picture. We had about
5 35 to 40 people, contractors attend. All the large
6 contractors are attending, and they're putting
7 together proposals for us. Here they are at the
8 site, and we had very good response, but they are
9 going to put together a proposal. We're going to
10 negotiate both the design and the -- and the
11 technology for -- and construction for the -- for
12 the project, and we're going to do that up front
13 using a reference plant.

14 One of the things we have here in the West is
15 we have -- what you almost call -- you call them
16 ISO conditions. We have operating conditions --
17 the best temperature. We're at sea level; so we
18 get better performance than other areas that have
19 high altitudes, hot weather or cold weather. Our
20 projects out here operate a little better, and so
21 it's easier to apply a reference plant to our
22 project site.

23 Here's just a graph. You're hearing a lot
24 about the different aspects to the regulated
25 emissions. I'll just highlight -- here's the
0136

1 Wabash project that you heard about before. Here
2 is our project with what is called the Best
3 Available Control Technology or BACT, and we're
4 actually taking it one step further by using a
5 Selexol system. So that system is set up to take
6 out additional sulfur, and it's also used for bulk
7 CO2 capture.

8 We -- also because we have less sulfur, we
9 lower our SO2, and we eliminate a problem of fouling
10 on an SCR. So we actually can add a selective
11 catalytic reduction system that reduces NOx, and so
12 we're not only setting ourselves up for CO2 capture,
13 we're able to produce SO2 and NOx, which are
14 regulated emissions.

15 Here's just a real quick table that compares a
16 modern pulverized coal plant, IGCC BACT and then
17 our project, PMEC, and then a natural gas project,
18 and I guess the highlight on that is with the
19 Selexol system and the SCR, we actually are lower
20 than the natural gas plant on two of the major
21 regulated emissions.

22 In addition to that, we have the CO2 capture
23 capabilities, and we're working right now -- and

24 you're going to hear from Susan in a few minutes
25 about some of the work with the Big Sky carbon

0137

1 sequestration partnership, and what we have in the
2 Northwest -- we don't have oil wells to do enhanced
3 oil recovery, but we do have basalt, and we do have
4 saline aquifers. So we're identifying those; we're
5 categorizing those, and we're going to be working
6 together on identifying specific costs to sequester
7 CO2. This will be part of our CO2 mitigation plan
8 that's required in the state of Washington. So at
9 the end of the day, we will be in compliance with
10 the state of Washington law, and we will be moving
11 forward to sequestration as that market picks up
12 and helps us pay for some of that.

13 I may add to this, just on the basalt --
14 essentially how that process works is you inject
15 CO2 -- and she'll talk more about that -- but the
16 labs in the Northwest have done extensive work on
17 this already in labs. When you inject it into the
18 basalt, you end up with a mineralization process,
19 and it transforms the CO2 into a calcium carbonator
20 alliance in the ground. The aquifers -- they're
21 fairly deep. They're about 1,000 to 2,000 feet
22 deep. You inject the CO2 into them, and at that
23 level, the pressure is heavy enough that it
24 liquifies the gas, and it then turns into water and
25 sinks, and so those are two very viable geological

0138

1 formations.

2 This is just a timeline, and it gives you a
3 sense of how important it is for us all to be
4 looking at this now because we are growing. We
5 have utilities -- some utilities are growing
6 4 percent load, others -- but most of them are
7 looking at 1, 1 and a half to 2 percent; so we have
8 a growth going on, and it takes a long time to
9 build these projects, and one of the hurdles that
10 I'm finding is the agencies -- and even including
11 BPA -- haven't been looking up any of these major
12 projects like this. They're used to merchant
13 natural gas plants that get put up in about a year,
14 and so everybody has to learn how to work through a
15 process like this, but we have a long time. So any
16 delays will actually push us out even further. So
17 we're looking at an early 2012 operation date, and
18 that's because we're moving ahead today.

19 So that's the end of my discussion, and
20 hopefully that helps, and if we have some time for
21 questions.

22 (Applause)

23 MR. BEYER: We're a little bit behind time.
24 We're a little bit behind. How about we take a
25 quick five minute or so break, kind of quick. Try

0139

1 to get back here, starting again by 10 'til, and
2 then we're going to move right into the next panel.

3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
0140
1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
0141
1
2
3
4
5
6
7

(Brief recess)

MR. BEYER: Our next panel member is
Commissioner Dian Grueneich from California.

MS. GRUENEICH: Do we have everyone? Please,
can somebody let folks out there know that we're
starting up again.

And I was asked to make the brief public
service announcement that all the Power Points will
be posted on the Oregon Commission website by the
end of this week, and there is a transcript being
kept, and that will also be available next week,
and I'm assuming that we will also have it on the
California website, and I'm sure our good friends
in Washington will figure out their website, as
well, but basically the idea is that all the
materials, as well as the transcript, will be
available electronically.

Because we want to allow some time at the end
for discussion among the commissioners, as well as
to have a brief period of public comment, we are
going to ask our next panelists to move forward
their presentation in a little bit more abbreviated
fashion than they had hoped, but, again, you'll be

able to view all of their materials on the website,
as well as I think you have a hard copy.

So let's start off with -- our first panelist
is Dr. Sally Benson, and she's going to be talking
on what is geological carbon sequestration; will it
work, and how will we know, which is obviously a
key part of thinking about carbon sequestration.

Dr. Benson is a staff scientist at the Lawrence
Berkeley National Laboratory where she has spent
the last seven years developing the scientific
foundation towards storage of carbon dioxide in
deep geologic formations.

She also serves as the project director for the
GeoSec project, principal investigator for the
Zero-Emissions Research Center at Lawrence Berkeley
Lab and is a geological pilot test leader for the
WESTCARB Regional Sequestration. She -- actually,
given our time frame, I think I'm going to skip
through the rest of it, but let's just say
Dr. Benson is eminently qualified to talk to us
today about carbon sequestration.

(Applause)

MS. BENSON: Okay. Thank you very much. If I
can -- there we go. Okay.

So you know what I'm going to talk about, and I
have about ten minutes. So we're going to move
along, and I'll try to emphasize the things that I
think are most important, but basically I'll try to
answer the three questions that are shown up on the
screen.

As a preface, though, I'd like to point your
attention to a recently completed report, the IPCC,

8 that's the Intergovernmental Plan on Climate Change
9 special report on carbon dioxide capture and
10 storage. This took three years. There were more
11 than 100 authors from around the world who worked
12 on this. It went through numerous review cycles
13 where thousands and thousands of comments were
14 addressed. So it's a really tremendous resource.
15 It's very current, and you can get it free on the
16 web, or if you want the fancy version, you can
17 order it. So many of the summary statements that I
18 make in my remarks today are derived from this
19 report, and the reasoning behind them will be
20 described there in great detail.

21 Okay. All right. So CO2 capture and storage is
22 a four-step process. First you need to capture it.
23 The CO2 -- we heard more about that earlier today.
24 It's then compressed basically to a liquid, put
25 into a pipeline and transported to the site for

0142

1 deep underground injection. So when we talk about
2 deep underground injection, how deep are we talking
3 about? Basically we're talking about depths of
4 greater than a kilometer, and the reason that we
5 want to go to a kilometer or deeper is CO2 becomes
6 very dense. It becomes a super critical fluid,
7 which basically has almost liquid-like densities,
8 and so we want to -- so when we talk about "deep,"
9 this isn't right under your feet. It's a kilometer
10 or more down, sort of like a typical oil and gas
11 reservoir depths.

12 So where can we put the CO2? We can put the CO2
13 in depleted oil and gas reservoirs. We can also
14 put it into active oil reservoirs, in particular,
15 and try to simultaneously store CO2 and enhance
16 recovery of oil.

17 The third option is storage in deep saline
18 formations. These are basically the same kind of
19 rocks where oil and gas are found, but instead of
20 being filled with oil and gas, they're filled with
21 very salty water, so salty that we would never want
22 to use it for any beneficial purpose.

23 The fourth option is to store carbon dioxide in
24 coal, and that option is less well-developed than
25 the first three that I talked about. So oil and

0143

1 gas and deep saline formations are really the
2 principal targets that we're talking about today,
3 and the rest of my remarks will focus on those.

4 So one of the big questions is, "Well, what
5 does it look like deep underground? And when you
6 put it underground, what's it like? Is it forming
7 a big bubble? Is it forming a big plume?" Well,
8 we wanted to be able to answer those questions, and
9 what we can do is we can look at rocks. Like, you
10 know, if you have a CT scan of your body, well we
11 can do the same thing with rocks, and there's a
12 very fancy machine shown here on the left that we

13 actually do these scans, and I just want to draw
14 your attention to one image here, and that's this
15 picture up here. This is 2.2 millimeters. This is
16 tiny. This is smaller than your little baby
17 fingernail, and the red are the rocks; the green is
18 the water; and these black globs, this is where the
19 CO2 is. So when we think about CO2 injection
20 underground, where is it? It's in tiny little pore
21 spaces; so it's not easy for it to move around.
22 It's basically very tightly bound in these pore
23 spaces. So when we think about injection and what
24 it looks like under, think back to this picture,
25 and think about the tiny, tiny scale of this.

0144

1 Okay. So if we put CO2 underground, what keeps
2 it underground? Well, the most important thing is
3 the presence of a seal or a cap rock, and the kinds
4 of places that we imagine putting CO2 are in
5 sedimentary basins, which typically have the sort
6 of layer-cake geology. So there's sandstone, very
7 permeable formations that are good for storage.
8 There's -- they have shales, which -- or -- and
9 hydrides that provide a seal, basically very, very
10 tight rocks, very impermeable and porous, and so
11 this seal is very, very important.

12 So, however, over the long run there are other
13 mechanisms that contribute to long-term storage
14 security. CO2 dissolves in the water. Once it
15 dissolves in the water, basically it's not coming
16 back up.

17 Second, when it's in the pore spaces, as water
18 tries to fill those pore spaces where the CO2 is, it
19 basically traps the CO2. A phenomena called
20 snap-off occurs, and you get individual bubbles of
21 CO2, and if these bubbles are not connected, they're
22 not going anywhere.

23 And then finally carbon dioxide in a formation
24 can be converted to solid mineral phases. That's
25 basically calcite, siderite, things that -- again,

0145

1 they're not going anywhere.

2 So we have a combination of trapping mechanisms
3 which over time lead to increases in the storage
4 security. So it's not like we propose to put CO2
5 underground, and it gets less and less secure over
6 time. In fact, it gets more secure over time,
7 because these mechanisms continue to act on the
8 carbon dioxide even after we stop injecting, and
9 most of the simulations and experimental studies
10 suggest that within 100 years, maybe 1,000 years,
11 several thousand years, all of the carbon dioxide
12 is basically permanently trapped, and it's not
13 going anywhere, even if you no longer have that
14 good cap-rock seal.

15 So I think I'm going to just skip through this.
16 Basically, this is the proof that carbon dioxide
17 would stay underground, and there's multiple lines

18 of evidence, but the bottom-line conclusion that
19 the IPCC developed and documented is that retention
20 rates are likely to exceed 99 percent over 1,000
21 years. So in 1,000 years of storage, maybe 1
22 percent or less is going to be released back into
23 the atmosphere. So when we think about geologic
24 storage, we're not talking about something
25 short-term, something transient; we're talking

0146

1 about, in essence, permanent storage of carbon
2 dioxide.

3 So is this a big opportunity? Are there lots
4 of storage sites, or is this sort of a niche
5 opportunity? And this is a worldwide map showing
6 the location of storage sites. The dark areas are
7 areas where it's highly likely that if you went
8 there, you could find something.

9 The gray areas are areas where it's likely, but
10 we're really not sure because not that many studies
11 have been, and the white areas are indicative of
12 regions where there's not likely to be CO2 storage
13 capacity. So when you look at the world, you see
14 that there's fairly broadly distributed potential,
15 and certainly in North America there's tremendous
16 potential for finding the needed capacity.

17 So what's sort of the bottom line here? Well,
18 there appears to be at least enough carbon dioxide
19 sequestration capacity for 100 years. There's
20 likely to be more, particularly in saline
21 formations, but sort of looking out into sort of a
22 century kind of time frame, capacity limitations
23 are unlikely to limit the technology. Really, the
24 bigger issue is is the capacity where you would
25 need it.

0147

1 Okay. What about the risks? We know a lot
2 about injection. There's a tremendous amount of
3 injection around this country, around the world,
4 and as a result of that we've learned what the
5 major risks are. The first of them is leakage up
6 the injection well itself. We may improperly
7 construct that well, or over time it may become
8 degraded. So the remedy here is that you simply
9 need to very carefully monitor the conditions of
10 your well, and this is done regularly in most
11 injection projects.

12 It's also possible that you'll have leakage up
13 abandoned wells, and in the United States, Canada,
14 in particular, a tremendous amount of wells have
15 been drilled over time. It's going to be careful
16 to go locate those wells, assess their condition,
17 and if they're not in good condition, to basically
18 go back and replug them.

19 Another possibility of risk is that the cap
20 rock or the seal is not correctly characterized,
21 and early on in some of these underground injection
22 projects, this was somewhat of an issue; however,

23 with improved seismic imaging technology and
24 characterization technology, this is less of a
25 risk.

0148

1 And then the final one is that those projects
2 that don't have good monitoring, those are the ones
3 that tended to have more problems.

4 So, again, a conclusion kind of a statement
5 from the IPCC report that says, basically, "With
6 appropriate site selection informed by available
7 subservice information, a monitoring program to
8 detect problems, a regulatory system, and the
9 appropriate use of remediation methods to stop or
10 control CO2 releases, should they occur" -- now --
11 so those are the caveats, and the conclusion is
12 that, "The local health, safety, and environmental
13 risks of geological storage would be comparable to
14 the risks of current activities such as natural gas
15 storage, enhanced ore recovery, and deep
16 underground disposal of acid gas." So basically
17 the bottom-line conclusion today is that these
18 activities will pose the same level of risk of many
19 activities that go on every day.

20 So monitoring is one of key things that you
21 need to do to ensure that the projects are
22 performing correctly. There are a number of
23 different monitoring approaches. You can monitor
24 right above the storage formation using seismic
25 methods, formation pressure measurements or

0149

1 directly sampling fluids. Moving up into the
2 ground water, a similar suite of technologies could
3 be deployed. In the vadose zone or soil, you can
4 go and actually sample the soil gas or sample soil,
5 and then in the atmosphere, there are also methods
6 developed primarily from the ecosystem in carbon
7 cycling studies that can also be deployed to
8 measure any potential leakage. The important thing
9 here is the suite of technologies appears to have
10 sufficient resolution so as to be able to detect
11 important amounts of leakage from these projects.

12 I'm just going to say one more thing about
13 actual projects. There are three real projects in
14 the world today. One of them is the Sleipner
15 project. This began in 1996. A million tons a
16 year are injected. So this is a decade-old
17 project. 10 million tons have been injected, and
18 they have extensively deployed seismic monitoring
19 to basically demonstrate where the CO2 is going
20 underground and demonstrate that it's not leaking,
21 and this is a very, very famous data set that is
22 sort of the proof that, in fact, Sleipner is a very
23 successful project.

24 And I don't have time to go into this in great
25 detail, but this is before any CO2 is injected.

0150

1 This is the top of the formation and the bottom.

2 Here is after three years of injection. You can
3 see a CO2 plume. Two years later it's growing and
4 so forth. So that's one important thing. We can
5 see CO2 underground with seismic methods very well.
6 No. 2, it's very important -- if you look above the
7 storage formation, no indication whatsoever of
8 leakage from the site.

9 There are other projects, but I'm not going to
10 go into those. There are more commercial projects
11 in the pipeline, and I'd just like to wrap up with
12 one thing. There's a program called WESTCARB.
13 It's sponsored by the Department of Energy in
14 partnership with all of our state governments here
15 in the western United States, along with a number
16 of industry partners. The focus is on geological
17 and terrestrial sequestration in the West, and
18 there's opportunities with regard to forestry, in
19 particular, some rangeland opportunities, as well.
20 The goals of this project are to characterize the
21 capacity, to assess risks, to perform specific
22 source sync matching between particular power
23 plants and storage sites.

24 And most importantly over the next four years
25 there are going to be three pilot tests of

0151

1 geological storage -- two of them in California and
2 one of them in Arizona. There will also be a very,
3 very detailed assessment that will take place in
4 Washington at the Trans Alta facility in Centralia,
5 Washington. Over \$18 million is being invested in
6 this over four years with about a 20 percent cost
7 share from our state and industry partners. So if
8 any of you would like more information about
9 WESTCARB, it's got a very good website.
10 Larry Meyer is the technical director of that, and
11 please don't hesitate to call us. His phone number
12 will be on the slides, and also you can reach me.
13 So thank you very much.

14 (Applause)

15 MS. GRUENEICH: Thank you. Next we have
16 Dr. Susan Capalbo. Hope that's --

17 MS. CAPALBO: That's close.

18 MS. GRUENEICH: Is that close? Great. And
19 she's the director of the Big Sky Carbon
20 Sequestration Partnership, and I just want to say
21 I'm very excited because I've heard about this for
22 some time, and so should I go through your
23 background? Okay. Again, we're going to have
24 skipping the background, but we're going to hear
25 all about this.

0152

1 MS. CAPALBO: Thank you very much. I come
2 from -- well, I live in Montana now. I'm
3 originally not from Montana, as you can probably
4 surmise.

5 Anyway, I'm very happy to be here and to talk
6 about the Big Sky Partnership. The Big Sky

7 Partnership is one of the seven partnerships that
8 Sally mentioned. WESTCARB is another one, and so
9 there's a number of them, and the idea with the
10 partnerships is actually to help close this loop on
11 opportunities for capture and sequestration, to
12 look at regional opportunities as they relate to
13 the whole U.S. So the Big Sky Partnership covers
14 Montana, Wyoming, Idaho and the eastern parts of
15 Washington and Oregon. What I'm going to do is
16 just talk very quickly about our efforts and then
17 get into this assessment of sources and sinks.
18 This parallels really well with some of the work
19 that we heard from Tom a few minutes ago. Okay.

20 I'll just move through these. This is just the
21 DOE carbon sequestration program structure. If you
22 haven't seen that before, it's basically the
23 infrastructure, which is seven regional
24 partnerships up in the brown-colored button there.

25 The growing case for carbon sequestration --

0153

1 once again, I don't really think I need to go
2 through this, as well. There has been lots of
3 regulations at the state and regional levels, far
4 less so at the national levels, and we'll talk
5 about that in a few minutes. There is a renewed
6 emphasis on U.S. coal both as for electric power
7 generation, the FutureGen, for some of the
8 feedstock for the hydrogen economy.

9 The last bullet there -- carbon sequestration,
10 I think, really does provide a means to achieve
11 economic growth using fossil fuels and as well as
12 meeting the environmental goals of reducing
13 greenhouse gas emissions.

14 To be successful -- the technology to sequester
15 carbon do have to be effective and cost
16 competitive. We've heard that today. It has to
17 provide -- as Sally indicated -- some long-term
18 stable storage, and perhaps most importantly, it's
19 got to be acceptable to the public. So these are
20 some of the criteria that we're looking at as we
21 design these sequestration technologies.

22 And then I add here "the challenges of carbon
23 sequestration." Once again, these are challenges.
24 I'm an economist, and so I look at things a little
25 bit differently than simply looking at, "Are we

0154

1 technically able to do it?" I'm looking at, "What
2 is the cost of doing it, and what are some of these
3 tradeoffs?"

4 So the challenges that we have with carbon
5 sequestration, once again, is the cost of cutting
6 these carbon emissions going to be felt
7 immediately, but some of the benefits are deferred
8 for much further in the future, and so some people
9 have a hard time in terms of weighing those
10 tradeoffs.

11 Greenhouse gas buildups are a global

12 externality, not a regional one. So unlike SO2
13 emissions where if you cut the emissions, you felt
14 you were cleaning up the watershed of the air shed
15 in your region, now with greenhouse gas emissions,
16 it's global. What we do could be counteracted by
17 somebody in another part of the world, and we're
18 going to bear those benefits or those costs
19 associated with that. So this is always a
20 difficult problem. We don't have a policy at the
21 federal level. This is a real challenge, and it's
22 a real challenge to get industry to think about it
23 in terms of, "I may need to do something in a few
24 years."

25 And then, once again, we hear a lot -- and
0155

1 there's been a lot of publicity in some of the
2 periodicals and stuff about global climate change,
3 and we need to do something. Remember the cover on
4 Time Magazine about a month ago? We need to be
5 worried, very worried, but we need to connect this
6 public anxiety about climate change with some
7 willingness to pay, which is a difficult challenge
8 there to do.

9 Okay. Our partnership -- in our region, we
10 have a lot of energy resources. We have a lot of
11 the coal resources. 40 percent of the total U.S.
12 coal resources are basically in this Big Sky
13 region. We have water resources. We have wind
14 power, natural gas, et cetera. The bottom little
15 quote there, I think, characterizes our region:
16 "We are a wealth of sinks, and we have real
17 opportunities to develop future energy supplies."

18 When I show you some of -- whoops. Let's me --
19 let me -- I just want to go a little bit quickly
20 here -- to where we are with our emissions. In the
21 Big Sky region, we are not a major emitter of CO2
22 relative to other parts of the United States. We
23 do have -- our emission breakdown is such that we
24 have a lot of CO2 emissions from point sources
25 coming from natural gas and coal, but this slide is

0156
1 just a relative proportion.

2 If I go to the next slide, the total utility --
3 total emissions from utilities in our region, not
4 including Washington and Oregon, is only about 65
5 million metric tons of CO2 equivalent a year from
6 coal and natural gas. If you look at the Midwest,
7 they all look in order of magnitude more. So we
8 don't have a lot of emissions right now. What we
9 do have is a lot of opportunities for developing
10 the future energy supplies and to do that in a
11 clean technology way.

12 This map -- what the partnership has been doing
13 is matching up sources of CO2 emissions with
14 potential sinks. This map just shows -- the big
15 red and yellow dots are the major point sources of
16 CO2 emissions, and we're matching these up with

17 different types of sinks in the region. This one
18 happens to be the oil and gas petroleum reservoirs.

19 Let me move to some oil and gas fields. So
20 we've been spending a lot of time in the
21 partnership kind of a linking up where are the
22 sequestration opportunities relative to existing
23 point sources and relative to ones that may be
24 coming online.

25 So maps then look at these sources of CO2

0157

1 emissions, where is the sinks, and then where is
2 some of the infrastructure both in terms of
3 pipelines, as well as transmission lines in our
4 regions. So we have a number of these, and I don't
5 really have a lot of time to go through them.

6 I want to focus, though, back on the basalt,
7 because this is what Tom had up there before. One
8 of the areas that we're looking at in our
9 partnership is to address the geological
10 sequestration and the nature for aquifers of
11 basalt, and, once again, this is unique to our
12 partnership. Many of the other partnerships are
13 looking at enhanced oil recovery, some of the
14 saline aquifers and these kinds of things. We're
15 focusing a lot of these efforts on the basalt for a
16 number of reasons: One is because they are unique
17 to our partnership, and, secondly, because we
18 believe they do provide a vast amount of potential
19 storage to regions where we might want to be
20 developing IGCC and future energy power plants.

21 So this one -- this graph here just shows these
22 major basalt formations, and I can overlay on that
23 the different types of transmission and railroads
24 that we have in the region to transport both the
25 end product, as well as some of the coal, which may

0158

1 be used for these power plants in the future and
2 also, then, some of the pipeline opportunities. So
3 the partnership has spent a lot of time in Phase I
4 looking at these different types of maps and
5 overlays and where these potential sources and
6 sinks match up.

7 We built what we call the geological carbon
8 atlas. This carbon atlas takes very detailed
9 information from -- in this case it's well data,
10 and we've developed a GIS model to calculate the
11 sequestration volumes of these geological sinks,
12 and we've characterized these sequestration volumes
13 for lots of formations in different parts of the
14 Big Sky region. This is just a snapshot from the
15 carbon atlas which is up on our website. Once
16 again, another snapshot from there.

17 Let me just go to some of the promising -- what
18 we're doing in Phase II with the geological
19 sequestration efforts. We do have three
20 demonstration pilots that we're doing. The first
21 one is the basalt that I'll talk about, and then we

22 have an EOR, the carbonate aquifer assessment, and
23 then finally just a little bit of work on deep coal
24 bed exchange.

25 The geological sequestration approach --

0159

1 basically to sort of reflect a little bit of what
2 Sally said -- is taking advantage of the reactive
3 properties of CO2 and identify the sequestration
4 targets. We're emphasizing sort of the mineral and
5 other chemical trapping properties, and we want to
6 develop these sequestration options that will
7 permanently store CO2, once again, not looking at it
8 as a temporary holding, but a permanent storage.

9 The geological field activities that we have --
10 we have the blue star, which is the basalt one
11 that's on the Hanford site, and then the green star
12 is coal bed methane, and the red star there is our
13 EOR formation.

14 I'll talk just a little bit about the basalt
15 one, because I think that's of interest to this
16 audience. We're planning on injecting about 3,000
17 metric tons of CO2 in this formation. Once again,
18 in our region we don't have pipelines, and so we
19 have to, at this point, transport it by rail; so
20 it's not -- it's very expensive to do this. It's
21 going to be injected into a deep well
22 infrastructure that exists on the Hanford site to
23 minimize the drilling costs, and we're going to be
24 looking at post-injection core sampling to verify
25 some of the mineralization reaction, which we hope

0160

1 would occur, which would basically adhere that CO2
2 to the geological sink in the rock.

3 The rationale for the basalt -- once again, the
4 Columbia River basalt group, which is in the --
5 along the Columbia River area -- has a huge
6 capacity. It's been estimated that it could store
7 up to 100 years of U.S. CO2 emissions. It's 3
8 percent of basalt is suitable for injection, and we
9 could inject potentially 100 gigatons of CO2
10 storage; so it's a lot. This is a technical
11 assessment. What is the economics? What is the
12 cost of doing this, which I think is extremely
13 important.

14 The other reason why we're looking at basalt
15 and mafic rock is because they exist in our region,
16 as you can see with the moth color up there, but
17 they're also existing in other parts of the U.S.,
18 as well. So this map overlays the basalt
19 formations where the dots are gas and electricity
20 or power plants, and so you see that in other parts
21 of the Eastern part of the U.S. there's also some
22 potential for using these basalts, and so what we'd
23 like to do is transfer results of this pilot to
24 other parts of the U.S.

25 And then even more importantly as we look at --

0161

1 remember I said this is a global problem, and so we
2 want to look at what's happening in the rest of the
3 world. There are substantial basalts that exist on
4 developing countries, in particular China and in
5 India, that could also be sequestering CO2 as those
6 countries develop their fossil energy resources.

7 The conclusions, then, for the basalt is that
8 we do have large basalt providence since they're
9 globally distributed. There's an economic
10 opportunity. Cost for using the basalt are
11 minimal. What I mean here is that they're
12 currently not providing oil and gas; so putting CO2
13 down them is not preventing future use of those
14 resources.

15 It's got some geological properties that we
16 like, and, once again, there's a lot of them that
17 sequester, and they estimate worldwide up to 10,000
18 years of world CO2 emissions. I'm never quite sure
19 how that number gets estimated, but, anyway, it's
20 large.

21 The big question, though, I have at the bottom
22 is how does this compare to other sequestration and
23 mitigation options, and this is basically the
24 flavor of the DOE partnership is to look at these
25 different types of sequestration options, much like

0162

1 not just looking at pulverized coal plants, but
2 investing in different types of technology,
3 developing energy resources, we also want to be
4 looking at different types of sinks for
5 sequestering the CO2.

6 You know, I think I'm just going to -- there's
7 some other stuff in here on what we're doing in the
8 other parts of the partnership, but it doesn't
9 really pertain to the West Coast, as much as the
10 EOR opportunities that we're looking at. So, you
11 know, why don't I just -- we do have some
12 sequestration efforts, as well, but in the interest
13 of time, I will just maybe end with one thing that
14 we're also looking at, which is -- as an economist
15 I'm extremely interested in not just the technical
16 capabilities and the technical capacity, but what
17 is the economic cost of these particular sinks.

18 So we've invested a lot of resources in terms
19 of looking at what is the economic cost of
20 sequestering CO2 and trying to use a common unit for
21 comparison across these different types of sinks
22 that we have, taking into account spacial and
23 temporal metrics.

24 The end product of all of this -- and I think I
25 have a slide in the handout -- is to come up with

0163

1 these regional supply curves for carbon. If we
2 want to be sequestering so many tons of carbon in
3 our Big Sky region, what would be some of the
4 estimates of these regional supply curves, which
5 would give us the cost of sequestering that much

6 carbon, which would be useful for industry.
7 The importance of this economic component I
8 think was reflected in the earlier presentations
9 that I heard. Once again, we need to have some
10 idea of the economic cost. It's critical for
11 assessing the feasibility as we scale up. It's
12 also useful for addressing, I think, the long-term
13 financial viability of power plants under these
14 carbon constraint scenarios, and it's extremely
15 useful to adjust tradeoffs among the alternative
16 sequestration options.

17 I'll close with one last slide, and this slide
18 relates to the last criteria that I had for
19 sequestration technologies to be, quote, unquote,
20 "successful as they have to be acceptable to the
21 public," and so we have a major effort looking at
22 education and outreach activities associated with
23 the sequestration and working both with industry
24 with state legislators and with stakeholders on
25 this, and I'll stop there.

0164

1 Contact -- we have a website, as well. I'm the
2 director of the web. My e-mail address is up
3 there, and the website is just bigskyco2.org.
4 Thanks.

5 (Applause)

6 MS. GRUENEICH: Our last speaker is
7 Charles Christopher, who is BP's carbon program
8 manager for the Americas, and he has over 30 years
9 experience in all phases of improved oil recovery
10 and has been involved for a number of years in the
11 capture and sequestration of carbon dioxide.

12 He is responsible for identifying options for
13 geologic storage for BP's largest U.S. carbon
14 dioxide sources, and so with that, here is our last
15 speaker for the day.

16 MR. CHRISTOPHER: Thank you.

17 I have a friend that's a professor at Stanford,
18 and when he gets to this point on the agenda, he
19 says, "This is the place where everything has been
20 said, but not everyone has said it." I hope that
21 won't be the case of my presentation.

22 BP is about to undergo a large new business
23 which we call alternative energy. It's an umbrella
24 that will take care of a number of new business
25 types that we hope will provide a bridge from where

0165

1 we are now in the carbon era to the future that
2 will be a renewable era. So what I want to talk to
3 you about is some of the first efforts to get us
4 going in that business.

5 Of course, it's all about emissions. The IEA
6 says that the emissions currently are about 41
7 percent power, 38 percent heat from all sources,
8 and 21 percent transportation, and in the future,
9 say, in 2020, it will be about the same
10 distribution. The nice thing about this is that

11 about 80 percent of the emissions come from
12 stationary sources -- they're not running around on
13 freeways -- and so they're much easier to deal
14 with.

15 If you ask the public if they want clean
16 electricity, they will tell you yes. If you ask
17 them how much they want to pay extra for it, they
18 will say nothing. So there are technologies
19 available today that will take you to a clean
20 energy future, but they are expensive, and, of
21 course, technology will bring these costs down, and
22 we will begin to edge out towards those in the
23 future, but if you -- this is sort of the
24 distribution now, going from coal to other types of
25 things, but if you imply a carbon-constrained

0166

1 future, this distribution changes, and it can
2 change rather dramatically.

3 Hydrogen is one route to the future. We're
4 planning two of the world's first large-scale
5 demonstration projects that will produce clean
6 power from hydrogen and will store the CO2 in the
7 subsurface. One of those -- the first one that we
8 announced was in Scotland; the second one we
9 announced was in Carson, California, just off of
10 Long Beach. So we're in the middle of ramping up
11 our alternative energy business rather
12 dramatically.

13 This is what the project in California looks
14 like or will look like at some stage. You take
15 petroleum coke, and has been mentioned before,
16 there are large quantities of that available. It's
17 currently being exported to China where it's being
18 converted into CO2 and vented into the atmosphere.
19 There's going to be a lot more of it in the future
20 as the crude supply gets heavier; so the U.S. is
21 going to have a lot of -- and there are places
22 where pet coke is now buried to get rid of it.
23 It's hardly worth anything. It may or may not be
24 zero, but it's not worth much.

25 So in our case the pet coke is going to go into

0167

1 a gasification unit. We're currently investigating
2 the technologies to do that, and the technology has
3 not yet been chosen, but you know who the players
4 are.

5 Coming out of that, there's a carbon capture
6 system that the heart is the sequestration part,
7 and that goes into a hydrogen power plant. The
8 electricity from the plant then goes into the grid.
9 Part of it goes to our refinery, as well, and then
10 there's hydrogen available for other uses, such as
11 for transportation, if necessary, and all
12 refineries use hydrogen, as well.

13 But the storage part of this is that the CO2
14 goes from here into oil feeds that may not be very
15 far away from this particular location, and the oil

16 from it then goes to the refinery. So that's the
17 basic components.

18 The ability to do something like this rests,
19 then, on three principal components: The first one
20 is the fuel. You want the fuel to be an advantage
21 fuel of some sort, such as coal or petroleum coke;
22 the second part is the products. You want it to be
23 a product that is valuable, sells into a good
24 market, perhaps even a market that would recognize
25 the difference between clean energy and not clean

0168

1 energy; and an ability to do CO2 EOR.

2 If you look at where our refinery is off of
3 Long Beach, you can send the CO2 basically in two
4 directions: One is to the southwest, to the
5 Wilmington field, which is essentially under the
6 Queen Mary, and the other one is up to the
7 San Joaquin Valley. There are a number of oil
8 fields up there. If you draw a straight line
9 between the refinery and those oil fields, it goes
10 through Beverly Hills. Obviously this thing won't
11 be a straight line.

12 There is a lot of room to put CO2 in the ground
13 around Los Angeles. There are issues about
14 earthquakes and other things, but the oil fields
15 have been there for a very long time. They've
16 contained oil and gas, and they've not -- they have
17 not reached the surface in any appreciable way. So
18 we think that storing the CO2 in the ground is
19 something that is very viable. We think, though,
20 that our objective -- our big objective is to show
21 the rest of the world that it's safe.

22 CO2 enhanced recovery is a very mature
23 technology. Back in the early 1980s, CO2 was found
24 in reservoirs in Colorado and New Mexico and was
25 piped down to West Texas where they did EOR. They

0169

1 injected it, and it becomes a very good solvent,
2 and it pushes the oil out. A number of projects
3 were built in the early '80s, and then the oil
4 price fell, and they stopped building new ones, but
5 they had commitments to keep going, and now the
6 number is going up. The number is limited now by
7 the supply of CO2. There's not enough CO2 in West
8 Texas to supply all the fields that want to do CO2
9 EOR.

10 If you take a tube like this one and fill it
11 full of sand and then saturate it with oil and
12 inject CO2 at a low pressure, you'll recover some of
13 the oil. If you then raise the pressure and do it
14 again, you'll recover more oil, and if you continue
15 to do that, you can go right up this curve until
16 the point where you get about 95 percent of the oil
17 out, and that's the point that we define as minimum
18 miscibility pressure. It's good to do projects
19 like this at the point where it is miscible,
20 because all of the reservoir that's contacted by

21 the CO2 will swept clean of the oil, but it's not
22 absolutely necessary to do that. You can get good
23 recovery at lower pressures. So it depends on what
24 your reservoir pressure is or the pressure at which
25 you can bring your reservoir as to how much

0170

1 recovery you can get from CO2 injection.

2 CO2 capture and storage has been investigated
3 quite a lot. The regional partnerships -- we've
4 been involved in organizing and participating with
5 a number of the regional partnerships. The CO2
6 capture project was organized by BP, and it is
7 studying capture and storage in order to address
8 the two key issues, which are the cost of capture
9 and the safety of storage.

10 There are a number of projects that are
11 underway now that are actually doing this. The
12 Weyburn project in Canada, taking CO2 from
13 North Dakota, is injecting about a million tons a
14 year, and this has been going on for several years.

15 The project that Sally mentioned in Algeria,
16 called In Salah Gas, is taking CO2 from the gas
17 stream. It has to be removed from the gas stream
18 before the gas can be sold, and that would normally
19 be vented, but we're not doing that. We're taking
20 the CO2 and injecting it down the leg into the water
21 part of the reservoir and storing about a million
22 tons a year of CO2 there.

23 The Sleipner project in the North Sea is doing
24 the same thing. It's taking CO2 from a gas stream
25 that's being taken from another reservoir and

0171

1 putting it into a water leg, and that's also doing
2 about a million tons a year. So these projects are
3 going full stream.

4 These are the reservoirs in West Texas and
5 Colorado and New Mexico that are supplying CO2 to a
6 huge infrastructure in West Texas. If you go out
7 there and see this, the compressors, the pipelines,
8 the equipment going around is enormous. But as big
9 as it is -- it's currently handling about 30
10 million tons a year of CO2, which is about
11 equivalent to three or four large power plants. So
12 the scale of the operation is enormous. There are
13 other -- this is sort of the fertile crescent for
14 CO2 at this time, going from the North Dakota
15 project down to a project in Louisiana and
16 Mississippi.

17 But the industry has been doing this for some
18 30 years. We understand how the process works.
19 It's been done safely and effectively. We
20 understand the corrosion issues and the well
21 issues; so this is not a new technology. It's
22 something we've been doing for quite sometime.

23 The benefits of the project we're doing in
24 California are numerous, and I'll enumerate a few
25 of them. This is going to produce about 500

0172

1 megawatts of clean electricity going into the grids
2 in Southern California, a place where electricity
3 is in shortage. It will eliminate some four
4 million tons a year of CO2 that would be vented if
5 the petroleum coke was sent to China and burned.
6 This is bigger than all those demonstration
7 projects combined that you saw earlier. It will
8 produce additional energy from existing California
9 oil fields, which will increase the prosperity of
10 California and will provide jobs in California, as
11 well.

12 It will boost the California economy. There
13 will be about 1,000 jobs associated with the
14 construction and about 150 long-term to operate the
15 plant. It will reduce the stress on U.S. gas
16 supplies. The energy that's currently being used
17 to produce for our refinery and others in the area
18 comes from natural gas. This will eliminate that
19 all together.

20 It will preserve limited fresh water sources.
21 It will use recycled water from that area; so it
22 will not use any new water supplies. It will build
23 a hydrogen source for this and for other future
24 sources. It will begin to develop an
25 infrastructure for hydrogen and for CO2. One of the

0173

1 things that is true about the CO2 EOR business is
2 that you have to create an infrastructure. The
3 sources have to be available, and they have to be
4 reliable, and the sinks have to be available, and
5 they have to be reliable. Once you established a
6 business to do this, then those things can take off
7 on their own economics.

8 It will also significantly reduce emissions
9 from pet coke transportation. There are about
10 3,000 truck miles a day that are used to carry the
11 pet coke to the port. Those will be eliminated all
12 together and the marine transportation emissions
13 that carry the pet coke to China, as well.

14 So the way forward -- we've announced this
15 Carson Hydrogen Power Plant, CHPP. It's responsive
16 to state and federal governments' intent to reduce
17 greenhouse gases. This is a commercial project.
18 This is not a pie-in-the-sky project. It's one
19 that has -- looks like it has really good
20 economics, and we see no reason at all why it
21 wouldn't go ahead.

22 It will have significant challenges through the
23 design, engineering, and procurement stage. What
24 we're doing is putting together a number of
25 processes that are fairly well known. The

0174

1 gasification process is a challenge, and the
2 separation process will be a challenge, but we're
3 intent on showing that these can be put together in
4 a commercial-scale project.

10 IPCC numbers for the storage part alone were in the
11 range of \$2 to \$8 per ton. I think, though, that
12 one needs to look at the overall costs, including
13 the costs of capture. So if we're doing it
14 (inaudible) so the IPCC numbers were in the range
15 of \$30 to \$70 per ton for everything, so capture
16 and storage, but Stu has probably more up-to-date
17 numbers on the captured costs that you might want
18 to talk about.

19 MR. DALTON: The captured costs, per se, we
20 had the -- it was built into those cost to power
21 charts, but they weren't in dollars per ton of CO2.

22 Sally's numbers actually are (inaudible) wide
23 range, depending on which (inaudible) for the cost
24 to capture technology.

25 MR. WOOLEY: Is there a way to convert that

0177

1 into dollars per megawatt hour or just (inaudible).

2 MR. DALTON: The costs after the bid put on
3 those charts are -- were in dollars per megawatt
4 hour. If you look at how this was done, the
5 difference between capture and no capture were in
6 dollars per megawatt hour. It doesn't add that
7 much to the cost of -- to the cost for the storage.
8 I think everybody agrees it's the lesser part of
9 the equation. The two issues -- the cost of
10 capture -- cost is not the issue of storage; it's
11 safety and effectiveness.

12 MS. BENSON: I think the sort of numbers that I
13 use as a rule of thumb are one to two cents of
14 kilowatt hour for that.

15 MR. BEYER: Dian?

16 MS. GRUENEICH: I think I have two questions:
17 One is melding together what we heard today on the
18 advance coal with the carbon sequestration, does it
19 make much difference when you're building an
20 advance coal project to be thinking about having it
21 be able to do carbon sequestration? Because that's
22 certainly -- a lot of the discussion we've had is
23 that to the extent that we don't have -- there may
24 be a difference in timing where we may have IGCC or
25 other advance coal technologies available before

0178

1 we've solved everything on the carbon
2 sequestration, and so that a logical approach would
3 be to ensure that the advance coal plants are able
4 to do carbon sequestration. So my question is is
5 that a big thing technically cost-wise if one were
6 to require that aspect?

7 And then I guess the second thing is -- the
8 second question is I ended up -- and this is my
9 first briefing on carbon sequestration -- with,
10 frankly, the feeling, "Gosh, there's an awful lot
11 of work going on on carbon sequestration," and is
12 there -- are there any big gaps with regard to how
13 overall we're approaching carbon sequestration, or
14 is it -- because this is the takeaway I took --

15 which is we have a lot of money that's going on.
16 We've got a lot of studies going on. We've got a
17 lot of capable people that are involved in it, and
18 we really just have to have that work proceed, and
19 part of it is a timing issue that we may not have
20 many answers for five or even longer years.

21 So my second question is is there any big gaps
22 out there in terms of cracking this nut on carbon
23 sequestration?

24 MR BEYER: Stu?

25 MR. DALTON: I'll at least take a shot at both,
0179

1 and other people may want to add.

2 Yes, there is quite a bit you can do on
3 pre-engineering, and there are differences in
4 design in both things, like the way you would size
5 the amount of air that's separated, the way that
6 you would size and design the gasifier, and it's
7 more than just leaving the back 40 vacant, which a
8 lot of people -- they get that impression, but
9 there are pre-engineering.

10 We have literally published some of the ideas
11 of phased gasification with -- we've done this
12 literally for about 15 years, looking at the idea
13 of, first, natural gas, then gasification, and the
14 more recent studies have looked at then what do you
15 do to add CO2 capture. How do the systems match up,
16 and what are these things you can do to
17 pre-engineer, and I made a presentation about two
18 years ago to the national commission on energy
19 policy on some of the results of those studies. So
20 some of those are available in public
21 presentations.

22 You can argue about how you would go about
23 doing those, and there are many ways you can go
24 about pre-engineering for gasification, and there
25 are differences, and, if you will, pre-investment

0180

1 options would allow you to reduce the cost later
2 on (inaudible) and reduce significant penalty with
3 integration problems. So there are some things
4 that can be done.

5 On the second one -- one big gap that's been
6 identified by a number of organizations, not just
7 EPRI, is you have to prove the safety long-term at
8 large scale. Now, there are some projects going
9 on, ones that we heard about, the three that are
10 going on. There's things being proposed, like the
11 FutureGen project. Many people say you have to
12 have multiple regional, large scale so people can
13 feel confident in the different geologies, and you
14 will have assurance that you can store safely. The
15 thing is there are a lot of analogies, like Sally
16 and other folks stated. That's one example of
17 something that's fairly large, and many people say
18 is needed in the long-term, but that could go along
19 with early deployment, if you will, of plants if

20 there's the right financial structure.
21 MR. CHRISTOPHER: Can I address that, as well?
22 For the storage part, people, I think, are
23 approaching this as though there would be a large
24 quantity of CO2 injected in the ground, and that
25 would be the end of it, and people would walk away,

0181

1 and some day it could explode or whatever. That's
2 what might happen. That's not the way things will
3 be approached.

4 The way they will be approached is that there
5 will be a site selection and risk assessment done
6 of the site that will be really easy to do for oil
7 fields where there's a lot of information already
8 available. It would be much more difficult to do
9 on -- in aquifers where very limited information is
10 currently known. Oil fields have already proven
11 their capacity to hold oil and gas, and it will
12 also hold CO2, but aquifers have not been proven
13 that way. So it will take more up-front
14 information to do that, and there's a question
15 about where the money will come from to do all that
16 site assessment.

17 Once the site assessment is done, there will be
18 a monitoring program put in place to detect in the
19 case there is a problem. There are methods to do
20 that that are currently well known. All of the
21 sites that have been instituted so far have used
22 every technology known to man just to understand
23 how those technologies work, but a limited
24 fit-for-purpose monitoring program will be in place
25 for all the projects that be will be done, and then

0182

1 there will be a remediation technology that will be
2 done in case there is a leak in order to fix it.
3 So this is not something that will just happen, and
4 then there will be a large risk associated with it.
5 It will be a carefully measured procedure that will
6 reduce the risk.

7 MR. BEYER: Others?

8 MR. KRUEGER: The only thing I would add from a
9 developer's perspective is that I think you're
10 right. I think it does makes sense to look at
11 designing that capability for a project in advance,
12 and we certainly are doing that.

13 In the case -- in our case the initial cost
14 estimates are in the range of \$35 million to do
15 some of these bigger piping sizing and putting in a
16 Selexol system and getting set up for that. That
17 doesn't include real estate, as Stu said, but,
18 yeah, it's a big cost, but at the same time it
19 makes good business sense, I think.

20 MS. CAPALBO: I think we also really need to
21 push really hard on the federal policy, because
22 once, you know -- if we don't -- if we have a
23 federal policy that we know is going to be probably
24 constrained in five or six years, these plants will

25 be automatically factoring that in. In the absence
0183

1 of that, in the absence of any kind of a guideline
2 on what that policy is going to be, we're in a
3 nebulous situation where we don't really truly
4 value the investments that people are making in
5 IGCC.

6 I was at a conference, and Sally was there last
7 week, as well, and I think even DOE admitted that
8 they're probably going to be some serious movement
9 on a policy for CO2 emissions in the future.

10 MS. BENSON: I want to go back to your gaps
11 question. I agree with what we've heard so far. I
12 think the single most helpful thing to be done is
13 to encourage the number of mid-scale projects, sort
14 of early opportunities to further probe the
15 geological storage of CO2, to gain experience, to
16 have the regulatory agencies to gain experience to
17 where (inaudible) fit for purpose-monitoring so as
18 to transition them to the routine repeatable
19 practices.

20 There are other gaps that, I think, are being
21 addressed, things like race for mineralization, as
22 an example. How do you optimize (inaudible)
23 volume. So there are research questions that
24 certainly, you know, need to be addressed, but
25 they're not the kind of things we need to wait in

0184
1 order to begin more of these pilot projects that
2 would be so helpful.

3 MR. KEESE: And, Dian, you're coming back to
4 what the recommendations are going to be from the
5 CDEAC, which is that the -- if the states of the
6 West are going to incent these projects, they
7 should incent the first tier, which will be with
8 sequestration, and if they do anything else, they
9 should incent to Tier 2, which is capable of
10 sequestration. So the capable is a very important
11 ingredient of the recommendations that's coming
12 forward.

13 MR. BEYER: Mr. Savage.

14 MR. SAVAGE: Yeah. That segues to my question.
15 This was -- Eric Redman had proposed an early
16 adopter program. Other than not using RFPs, what's
17 kind of the commission's role, if that's kind of
18 our strategy for advancing this technology?

19 MR. BEYER: Commission, the question is what
20 should the commission's role be? Bill is biting at
21 the bit here.

22 MR. KEESE: If the parties who are going to get
23 involved -- and that generally will be the
24 regulated utilities -- are going to get -- they
25 need some assurance that their involvement is going

0185
1 to be fiscally rewarding, safe, is not going --
2 we -- different presenters present different -- are
3 not going to jeopardize their bottom line, their

4 credit rating. There's just -- there will be many
5 things I think we can look at that the commissions
6 would have to do to entice utilities to participate
7 in the exact things.

8 Deep pockets like BP and Shell can do this with
9 a resource, petroleum coke, which is free, with a
10 chance to benefit from enhanced oil recovery or
11 other -- they will probably be the ones, in my
12 mind, who test the utility scale of these
13 activities, but if we're going to talk about the
14 West generating electricity, we're talking about
15 western coal, at altitude, without petroleum coke
16 as the feedstock, with sequestration that's going
17 to cost. I think you've got to figure out what
18 you're going to do to enhance -- entice them to
19 participate.

20 MR. DEGERNES: There's a number of examples of
21 regulatory incentives in other types of generation.
22 Wind is an example where states mandate a certain
23 percentage of the utilities' generation mix come
24 from energy renewables. You've got federal tax
25 subsidies in the form of production tax credits.

0186

1 So there are a number of examples in other types of
2 generation where you can encourage it, and those
3 could be applicable to IGCC or any other technology
4 that regulators and policymakers want to encourage.

5 MR. DALTON: One more point along that line.

6 Last April we testified in the senate. I
7 testified in the senate to the -- on those exact
8 points, but there are different impacts, of course,
9 on different sorts of entities. Now, the PUCs
10 aren't the only regulatory entities involved with
11 tax policies, et cetera, but certainly if you're a
12 tax-exempt sort of organization, some of the public
13 power entities, it's a big difference between that
14 and some of the other incentive mechanisms, and we
15 analyze the merchants, public and co-op and IOU and
16 looked at the differences in the balance sheet for
17 encouraging sort of the second tier of incentives
18 for early gasification. Anybody else?

19 MR. CHRISTOPHER: One thing -- one place where
20 you could make a huge contribution is to define
21 what "sequestration ready" means.

22 MR. BEYER: Do you have some advice?

23 MR. CHRISTOPHER: It should mean more than a
24 vacant lot.

25 MR. BEYER: Commissioner Oshie.

0187

1 MR. OSHIE: Thank you. My question is for the
2 panel. Let's assume that -- kind of put it into
3 context -- that a number of utilities in the --
4 just say in the Northwest decide that they want to
5 move to a IGCC plant, and they do -- they make that
6 decision next year, and so we're looking five to
7 six years out. Let's use that as an example.
8 Well -- and so will the industry be ready? Utility

9 engineers are fully capable of running combined
10 cycle plants. They've been doing that for a long
11 time, running power plants, but they haven't had
12 any experience, to my knowledge, in running
13 synthetic gas plants. And so will there be the
14 skill sets within the industry so that if there's a
15 need, that there will be -- that the skill sets
16 will be made available to those utilities should
17 they move to this technology?

18 MR. KRUEGER: We talked a lot about financing
19 and taking the risk out of projects, and one of the
20 things that would be required -- and I think Mike
21 talked a little bit about this -- is that there
22 are -- there's over 600 gasification projects --
23 not IGCC -- but there's a lot of gasification in
24 the world, and so there's a lot of skilled
25 gasification employees. There's a lot of skilled

0188

1 combined cycle plant operators, and so the
2 combination of this -- there are people out there,
3 and there are -- the industry is also responding
4 and offering -- they're going to offer guarantees.
5 They're going to actually operate the plant for a
6 while. So in our situation, we have over three
7 years of that kind of scenario.

8 MS. CAPALBO: I would like to add that from the
9 academic world, from where my position is, I think
10 we do have, you know, a serious concern with
11 engaging and educating capacity building at the
12 university level for science and engineering
13 expertise.

14 As we look around this room, myself included,
15 there's a lot of, you know, gray hairs and stuff,
16 and I don't see a lot of younger people coming in
17 to run these, and I think what we really need to do
18 is step up to the plate in terms of a science and
19 engineering education. Right now we have a number
20 of cases where we're having to get visas to import
21 science and engineering expertise from China and
22 India. So I think we really need to -- if we're
23 going to couple this and have it be clean coal and
24 clean energy, we need to step up to the plate with
25 those types of investments.

0189

1 MR. DALTON: Just to add -- one of the reasons
2 we put together 50 companies and change, including
3 a lot of manufacturers and engineering firms and
4 put together some guidelines on IGCC in the past
5 year -- I think we ended up doing it as a primer,
6 as well, because people were saying, "I don't
7 essentially design the machine. I need to know how
8 to operate them. I need to cull the lessons
9 learned from the last 30 years around the world and
10 into a consolidated (inaudible)" So I think
11 training is an issue.

12 We see -- hey, I'm a chemical engineer. There
13 aren't that many of them in the power industry, and

14 many of them work on water treatment and things.
15 So you do need to know how to operate, but there
16 are things that can be developed from web seminars,
17 from training kind of -- we're developing other
18 kinds of standard design and training packages and
19 simulators that are out there. There are things
20 that can be developed, and I think there's a gap in
21 the human capital.

22 And I would add that if you go to China -- and
23 I've been there a few times in the last couple of
24 years and talked to them about the cull programs --
25 they're cranking out a lot of engineers these days

0190

1 specializing in that, and we aren't doing as many
2 specializing in those areas.

3 MS. BENSON: I'd like to comment with regard to
4 the geological storage site. There has been a
5 dearth of students moving through the pipeline in
6 the geological sciences for quite a while, first
7 because of the downturn of the petroleum industry
8 that happened in the '90s and, also, the downturn
9 in the environmental remediation industry that
10 happened over the past decade or so. So there
11 really is a need to have people see an opportunity
12 for a career here and get students working on these
13 projects, get them out there working on the pilot
14 programs so that when the regulatory agencies need
15 to gear up to permit these projects, that they've
16 got people who do have a background. So I think
17 that capacity building is very, very important on
18 the geologic storage site.

19 MR. BEYER: Commissioner Savage.

20 MR. SAVAGE: Yeah. I just want to -- what was
21 the opportunity and value of coke products within
22 the IGCC technology? And the other one was what is
23 the value of flexible fueling, or is that unique to
24 the Kalama plant?

25 MR. BEYER: Did you hear those?

0191

1 MR. KRUEGER: Yeah. All of the IGCC has the
2 ability to mix different feedstocks. As a matter
3 of fact, Stu can talk more about the projects in
4 Spain and others. They're mixing biomass in there
5 and everything else. There is some flexibility
6 depending on how you design the IGCC.

7 As far as -- you know, what -- you know,
8 putting together your project, you have to get
9 contracts, and so those types of opportunities on
10 the byproducts and on the supply side, your project
11 gets too complex up front, but power is the lowest
12 margin product you can produce with gasification.
13 We will continue to get approached by higher margin
14 products and doing biodiesels and substituting
15 natural gas and hydrogen. Those are higher margin
16 products that are attractive as supplemental
17 modules.

18 MR. DALTON: On both points -- flexible

19 fueling -- we agree. Frankly, if you can get any
20 type of hydrocarbon into a gasifier, put oxygen in
21 there, it will gasify. The problems, in a
22 nutshell, are getting it in and getting it out,
23 because feeding it into a pressurized system with,
24 as an example, turkey feathers -- I'll be polite --
25 but think about a feather and feeding it through a

0192

1 valve. You can almost visualize it yourself. It's
2 not easy to do.

3 There are many biofuels. They vary. Simple
4 example is agricultural waste. It varies by
5 season. It varies by water content, and you can't
6 have them rot in the field and do a septic line.
7 So you have to worry about how you get it there,
8 how you transport it, how you consolidate it, how
9 you process it, and what it does to the system.
10 You're right, you want to design for a uniform
11 fuel, but this is going to be much more variable.

12 On the value of coke products -- we think there
13 are valuable coke products. We're doing things
14 right now (inaudible) with the DOE looking at the
15 option value of co-production of (inaudible). We
16 looked at hydrogen. A fact today for the audience
17 is 1 percent of a 500-megawatt gasification plant
18 is enough for 10,000 hydrogen-fuel vehicles.
19 That's a lot.

20 So there are values in these coke products, but
21 you have to find the right slave to manage the
22 slave, and a BP that's looking at 100 units or so
23 refinery of CO2 coke product and power in the
24 overall project (inaudible) look at a lot of
25 different co-products, and usually it doesn't fit

0193

1 with the utility economics very well, but that's
2 been the -- we're looking more at those options.

3 MR. BEYER: Other questions?

4 MS. GRUENEICH: In California we've -- in the
5 last couple of years -- adopted policies and taken
6 actions that I'm encouraged are trying to look at
7 the longer term and little bit different from what
8 may be the traditional utility rate-making
9 approach, and as examples of energy efficiency,
10 we've set 10-year energy efficiency goals that we
11 refresh every three years, extending them out, and
12 that's provided a real good basis for our utilities
13 to then be able to really take those goals and use
14 them as their basis for their procurement planning.

15 On our recently adopted solar initiative, we
16 basically have set up, again, another 10-year
17 program with the idea of really moving the solar
18 industry, because we are providing some real basis
19 for helping industry to make the investment in
20 solar.

21 And I'm interested in your folks' reaction as
22 if we took the concept that we are moving at a
23 state level quite quickly on policies of clean

24 energy and addressing climate change and we said,
25 "What can we do at the state level?" and if, as

0194

1 regulators, we set up essentially the same sort of
2 10-year horizon and maybe through procurement
3 charges through the utilities we had some increment
4 of the charge that would go into a fund solely
5 addressing carbon sequestration and/or advance coal
6 projects where it would basically be money
7 available, that if one of our utilities then
8 proposed to come in and participate in one of the
9 advanced coal carbon sequestration demonstration or
10 actual, you know, projects, we could look at it,
11 and determine that that money might -- would be
12 available to be used, then, because we'd be looking
13 at on a 10-year horizon, it would be more than just
14 an individual project, where a utility comes in and
15 says, "Here's what we're thinking of." What would
16 be your reaction? Would that be something
17 meaningful to do, or would that be more just sort
18 of talking amongst ourselves and in the real life
19 of what you're all trying to do, it wouldn't make
20 much difference?

21 MR. BEYER: Who wants to take a shot at that?

22 MR. DALTON: No.

23 MR. BEYER: No.

24 MS. GRUENEICH: Okay.

25 MR. DALTON: I'll just point out the obvious.

0195

1 Anything that makes the economics look better
2 long-term with carbon capture reduces the risk,
3 financial risk, is going to be beneficial as we go
4 through the planning process, and there are a lot
5 of different ways that different states are
6 incenting technology, and what you're suggesting is
7 a method of technologies. It's just stating the
8 obvious.

9 It depends how it's structured, I'm sure.

10 Financial people probably are better able to answer
11 that. We are looking at the option evaluation of
12 CO2 capture features right now as a financial
13 analysis tool, trying to understand where the
14 levers are on that, how much is it worth to me to
15 have that option, and so we're doing some analysis
16 of that.

17 MR. DEGERNES: I think having money available
18 to subsidize a new technology is helpful in
19 speeding up the implementation of it. I think in a
20 state like California, you end up with a potential
21 battle between the regulated companies and a
22 merchant company who might want to avail themselves
23 of that money. You know, it's -- are you going to
24 give the money only to the utility and then let
25 them be more competitive vis-a-vis a merchant

0196

1 company, who might want to try that technology
2 within a few years, as well; whereas, in a state

3 where it's entirely regulated, you don't get into
4 that same kind of a subsidy and who collects the
5 money and who gets to spend the money. That's just
6 an observation that there's a potential conflict
7 out there that happens regularly.

8 MR. KEESE: The Energy Policy Act went a long
9 way towards funding one pilot project. It's
10 written in, I believe, to be located in Wyoming.
11 Whether the money was ever appropriated for that
12 purpose is a question, but as far as the Energy
13 Policy Act was concerned, it specifically funded
14 two projects in the country of IGCC, one at
15 elevation in the West.

16 If they're not going to fund it, it's -- I
17 think the governors feel -- it's critical that we
18 have one, and it doesn't really matter whether you
19 get a benefit from it; everyone is going to benefit
20 if we get one that proves the concept. So how you
21 figure this in a curved regulatory scheme, I don't
22 know, but it is going to be important in some way
23 or another that somebody fund an IGCC project at
24 elevation with western coal and sequestration.

25 MR. CHRISTOPHER: There's another issue that
0197

1 hasn't been discussed, and that is the liability --
2 the long-term liability for a sequestration site.

3 We believe that these projects can be sited
4 successfully and safely and so on, but there is no
5 commercial enterprise that can take on an infinite
6 link in liability; so there has to be someplace
7 where with proper and judicious monitoring and site
8 selection that's been done that that liability is
9 then turned over to the public domain, and there
10 will have to be some money set aside to deal with
11 issues in the long-term in case they arise and even
12 monitoring for the long-term. So there are
13 organizations that can embark on this now with the
14 idea that the long-term liability situation hasn't
15 been resolved, but before it becomes a widespread
16 activity, some decisions are going to have to be
17 made about how that liability is handled.

18 MR. BEYER: Any other questions?

19 MR. SAVAGE: One more, and I'll just quit.

20 This has to do with the availability factor
21 that was raised -- I saw a very distinct curve for
22 the four operating plants. They are extremely
23 lousy availability about the first four or five
24 years and then started picking up year after year.
25 Is that -- what caused that shape?

0198

1 MR. DALTON: I can answer that since that's my
2 curve. It wasn't presented today; it was in the
3 backup --

4 MR. SAVAGE: Oh --

5 MR. DALTON: -- slides.

6 MR. SAVAGE: -- somewhere.

7 MR. DALTON: Those are graphed from first year

8 of operation, and there were a number of factors.
9 Each one of those has been analyzed. We've been
10 through that analysis with each. There were
11 (inaudible) such as faring that will help. Some of
12 those early plants were -- had a single
13 gasification train. Some of them were also on
14 what's called early combustion turbine family
15 problems. In other words, this is where the first
16 of the kind FA turbines were rolled out, and many
17 of them had FLEET problems that were not related to
18 the gasification, but they were related to their --
19 the FLEET of gas turbines. One was ran on natural
20 gas and had some of the same problems.
21 Combinations have often been not just the
22 gasification pieces, but the other pieces, as well.

23 Now, when you run a chemical plant, Eastman has
24 superb availability of record, but they run it flat
25 out. They have spares. They have a schedule, but

0199

1 they don't run it to produce power. When you
2 produce power, there are issues on (inaudible).
3 There are additional stresses when you turn it off,
4 and there are issues when you try and ramp up and
5 down and integration issues, as well. Those are
6 some of the things that we believe have caused some
7 of the issues. Our -- the number maximum for any
8 of those, you'll notice, of the coal variety was
9 one year at 82 percent. That's not a commercial
10 availability that anyone would want to run on, but
11 there are things you can do, and we believe the
12 designs we're developing and the designs that the
13 manufacturing is developing, that will help in that
14 regard.

15 MR. KRUEGER: Yeah, I think having the spare
16 equipment and having the experienced operators,
17 like Eastman, working on the projects early on and
18 overseeing the operations are what's going to make
19 it a successful project.

20 MR. BEYER: I think I want to turn to the
21 audience now and give you a chance to ask
22 questions.

23 MR. CAVANAGH: Would the chairman entertain a
24 comment?

25 MR. BEYER: Could I not, Ralph?

0200

1 MR. CAVANAGH: I'm Ralph Cavanagh from NRCE.
2 Now, Commissioners, this was the day when what
3 you had to say to us was more important, I think,
4 than what we have to say to you, but I am
5 emboldened to make one suggestion: As we walk --
6 you have brought us to the verge of a really
7 exciting technology, revolution in coal, and I want
8 to tell you I'm rooting for that revolution not
9 just for the United States, but for what it would
10 mean worldwide, for all the places that rely even
11 more heavily than we do on coal.

12 But there seems to me a crucial contribution

13 that you can make that we haven't said enough
14 about, going right to the core of your basic
15 jurisdiction, the super protection, development of
16 utility inventories and resources going forward.

17 We've heard a lot said today about what to say
18 yes to, and you're probably not quite ready to pick
19 your favorite form of sequestration, your favorite
20 IGCC plant. You may, however, be ready to see
21 something to say no to. John Wellinghoff, who will
22 be our next western FIR commissioner, is here in
23 this room, and he led the successful fight against
24 a 1500-megawatt coal plant, conventional
25 coal-burning power plant, which is less than 5

0201

1 percent of the plants seeking authorization from
2 commissioners like you for long-term financial
3 investments. That one plant, less than 5 percent
4 of the pending proposals in the West, would have
5 emitted 12 million tons of carbon dioxide per year.
6 The entire state of Oregon emits about 70 million
7 tons.

8 Commissioners, you now know enough about the
9 exciting alternatives not just on the coal side,
10 but renewables, energy efficiency, high-efficiency
11 gas. You know enough about the alternatives to be
12 able to send a firm and clear signal to the
13 marketplace that you are not interested in any more
14 long-term bets on irresponsible uses of coal, and I
15 think many in this room hope that that message is
16 one of the things that will come clearly from the
17 commissions as you go out of this meeting and
18 decide what next to do with these extraordinarily
19 important issues you bring for us today. Thank
20 you.

21 (Applause)

22 MS. WEINZIMER: Thank you for delivery of this.
23 This is Lisa Weinzimer with Platts, and,
24 Bill Keese, I'm returning to questions I've asked
25 you. But the recommendation sent to the governors,

0202

1 do they provide any -- any details on incentives
2 that states should develop for these projects, for
3 these advance coal projects?

4 MR. KEESE: Yes, but I'll answer it more
5 generically. Across the board we have broad
6 recommendations in energy efficiency, in solar, in
7 geothermal, and clearly in coal. The coal ones are
8 focused on Tier 1 and Tier 2 I spoke about.

9 MS. WEINZIMER: Right.

10 MR. KEESE: What we -- we don't say, "Do this,
11 do this, and do this." We say, "Here are the 20
12 things you could do towards this goal that we have,
13 and you pick," and we would think that some of them
14 will be done statewide, and some of them clearly
15 will be done regionally, and if you're talking
16 about my plant that I love, the one at altitude,
17 the IGCC sequestration, it almost certainly will be

18 done somewhat regionally by some grouping of
19 states.

20 MS. WEINZIMER: Thank you.

21 MR. BEYER: Anybody else, question or comment?

22 MS. PETRILL: I'm Ellen Petrill from the
23 Electric Power Research Institute.

24 Unfortunately Eric Redman is not here, but I
25 wanted to see what the other panelists thought

0203

1 about some of his -- well, his four ways to -- he
2 said, "Do gasification. Don't pay extra," and I
3 want to know what you guys think about this. He
4 said, "Include methanation" -- so it's really other
5 products -- "make the apples to oranges comparison
6 fair; preserve the advance gasification technology
7 option" -- so he meant switch technologies in or
8 out, I guess -- "and then induce the project
9 vendors to bite the bullet."

10 Do you think those ways could make IGCC not
11 more expensive?

12 MR. KRUEGER: Well, yeah. I guess with
13 co-products, you're selling high-margin products
14 like substitute natural gas or methanol or other
15 products. It does bring down the cost of the
16 entire IGCC where you have a separate module that
17 you're getting a reference from.

18 MS. CAPALBO: Yeah, I mean, I interpret some of
19 his stuff as, you know (inaudible) the internal
20 idea (inaudible) associated with producing energy,
21 and if you did that and you properly valued the air
22 as grounds for dumping CO2 and you put, you know, a
23 cost on that, then I think IGCC potentially
24 would -- would -- the cost -- developer's cost, the
25 shadow cost would come down.

0204

1 MR. DEGERNES: Eric was right in the sense that
2 he was talking about the developer being -- who was
3 planning to internalize those costs and spread them
4 over a broad base, and then AEP goes into Ohio and
5 says to Ohio, "You're going to need to spend \$26
6 million this year on a new plant." Well, the
7 commission there went the other way. "Okay. We
8 want the plant. We want it in Ohio, and the
9 utility is telling us the only way that's going to
10 happen in Ohio is we pay up front." It makes it
11 harder for everybody else to justify spreading the
12 cost when one state steps up and says, "We'll spend
13 the money to do it."

14 MR. GALLOWAY: Thank you. I'm John Galloway
15 from the Union of Concerned Scientists.

16 And I'm really interested in the point that
17 Commissioner Grueneich brought up around bridging
18 the gap between plants that are sequestration
19 ready, meaning that they separate out the CO2 and
20 actually getting to a stage where we actually
21 sequester the carbon, and I think that may be an
22 area that we touched on a bit, but it's one I think

23 we really should explore a lot further as we move
24 forward in establishing policies at the state level
25 and potentially even at the federal level, as we

0205

1 discussed earlier.

2 And so maybe the answer to my question was
3 somewhat addressed by Sally in saying that working
4 with mid-range projects to gain some experience
5 with the technologies is really the way to go, but
6 I guess maybe my question would more be for the
7 commissioners on the regulatory side. What we do
8 in terms of bridging that gap over what time frame,
9 it seems to me that if we established policy of
10 IGCC that separates the carbon stream, and we're
11 not sequestering it because we're developing that
12 technology is like close, but no cigar, and as we
13 all know, cigars burn in oxygen, not in carbon
14 dioxide, and so I'm particularly interested in the
15 perspectives of Oregon and Washington. You know, I
16 think the California Commission has made clear that
17 the utilities they regulate must address carbon
18 dioxide emissions and other greenhouse gas
19 emissions, but, really, I would open that question
20 to any of you.

21 MR. BEYER: Commissioner Savage, do you have
22 any thoughts?

23 MR. SAVAGE: You know, going back to the -- I
24 guess what we were saying is that the -- any new
25 plant should have the ability to capture carbon and

0206

1 sequester it eventually. Does that answer your
2 question?

3 MS. GRUENEICH: But did you take Ralph's
4 pledge?

5 MR. SAVAGE: De facto we've taken Ralph's
6 pledge.

7 MR. OSHIE: I would agree that if you're going
8 to invest in the technology, then you have
9 to -- you know, you have to be prepared for the
10 future. If we're going to be involved -- if
11 there's going to be carbon constraints -- I mean,
12 you can buy your way out through mitigation, but I
13 think it's a lot cheaper in the long run, and I
14 know some of the studies that EPRI has done, when
15 you look at sequestration over time, it is the
16 lease cost option.

17 MR. BEYER: Commissioner?

18 MR. PEEVEY: Yeah, let me just say one thing,
19 and several of us have to get out of here.

20 Two or three points: I came here today with
21 the attitude no coal under any circumstances
22 anytime, anyplace, anywhere. I'm leaving here with
23 maybe. As long as I know it's deep underground and
24 all those beautiful spots that were laid out there,
25 (inaudible) going to come back, but I say that a

0207

1 little facetiously.

2 To take up with something that Ralph Cabana
3 said and all -- and I hope a couple of things come
4 out of this meeting. I hope one of things that
5 comes out of this meeting is that a stronger
6 ongoing working relationship of these three
7 commissions on the West Coast and that we
8 formalize -- like we've done in California -- is
9 formalize some agreed-on actions and policies that
10 the three states at least can look to, and I would
11 love to have Wyoming be part of it; I'd love to
12 have New Mexico be part of it; you know, some of
13 the other states that aren't here. I shudder when
14 I read about a publicly owned entity like Salt
15 River Project and Tucson planning to build coal
16 plants, Springerville, units 4 and 5 and all this
17 kind of stuff -- I don't think that we have the
18 luxury of waiting, and as a regulator, I will say
19 this: We will find the mechanisms to incentivize
20 the right kind of development to the best we can.
21 There's a lot of ways, but I don't want to have a
22 fiddling while Rome burns kind of attitude that,
23 you know, you get into here, with you put up a
24 little bit of money up front, and should you not
25 and so on and so forth.

0208

1 I think that we have to move, and we have to
2 move with a certainty and vigor to really make some
3 fairly radical early steps here. I think we
4 started on that course, but we have a long ways to
5 go.

6 MR. BEYER: Well said.

7 Anybody else with a question? Yes.

8 MR. EMMERT: Stephen Emmert with Puget Sound
9 Energy.

10 I had a question for the panel. I'm a little
11 unclear as to what the consensus is on the state of
12 the technology of CO2 sequestration. I hear that
13 the oil and gas industry has been doing it for 30
14 years, three to four power plants equivalent to CO2
15 going underground. (Inaudible) demonstration
16 projects going on. What is the status of the CO2
17 sequestration?

18 MR. CHRISTOPHER: Well, we think -- we came
19 into this business years ago thinking that this is
20 a safe and effective way to deal with CO2. If you
21 look at large-scale ways to get CO2 out of the
22 atmosphere, this far and away wins the game.

23 If you -- if you do it as I described by doing
24 a careful selection of the site, followed by a good
25 monitoring program and/or remediation program to go

0209

1 with it, we think it's very safe.

2 MS. BENSON: I'd just like to add a little bit
3 to that. The oil industry isn't CO2 EOR. Those are
4 not projects where people have looked for leakage,
5 and obviously there hasn't been enough leakage to
6 make it so -- you know, so it is an environmental

7 problem, but, you know, I think there's due
8 diligence added to, "Well, you know, we should go
9 look," rather than (inaudible) why demonstration
10 (inaudible) valuable and why projects like Weyburn,
11 which is an EOR (inaudible) has very extensive
12 monitoring to look whether there was any, and there
13 wasn't, but that, I think, is helpful in giving
14 confidence.

15 The second thing is, as Charles mentioned
16 earlier, we do know somewhat less about the
17 (inaudible) and on the other end, the principle of
18 how they should perform, but the seals that would
19 be present haven't stood the test of time like oil
20 and gas reservoirs have. So we believe they should
21 be very effective. (Inaudible) appears to be
22 effective, but it would be helpful to just gain
23 more experience because geology is, by nature, very
24 heterogenous, and each location is unique. So
25 that's why the goal is for developing more

0210
1 demonstration projects.

2 MS. CAPALBO: And the other point I would add,
3 you know, the question is how much leakage can we
4 live with. You know, the cost of monitoring and
5 measuring and these type of things is nonlinear
6 with respect to how much leakage you're willing to
7 live with. So, I mean, if we're saying we can
8 inject these into these underground aquifers, so
9 maybe 5 percent leaks back out. So how -- you
10 know, what is the tradeoff between the cost to
11 ensure that -- you know, that we're down to 99.5
12 percent versus 95 percent? So I think those issues
13 are extremely important, some of those need to be
14 done.

15 The MMV and those monitoring costs could
16 overwhelm you if you to have to go to such a high
17 level of nonleakage. So there's a lot of issues
18 that need to be addressed here, but I think the
19 bottom line is that looking at the EOR is useful,
20 but I think the really long-term storage of the
21 other opportunities that we have -- and we've got
22 to be willing to incur those costs now.

23 It's a hard thing in an economic study, like,
24 you know, do a typical cost benefit analysis and
25 discount, because when you start discounting beyond

0211
1 20 years, of course, these things -- the benefits
2 go to zero clear off into the future. So we need
3 to take that into account and look at other means
4 of valuing these costs that we're going to incur
5 now and weigh them against the benefits.

6 MR. KEESE: Speaking as a layman, I think the
7 point is we're just putting it in the air right
8 now. We're just sending it up. We're talking
9 about making it better by putting it down. Yes, if
10 we have some leakage -- once you start working in
11 an oil field, if you pump natural gas down to push

12 the oil, you get more natural gas, but then you
13 take it out and put it down, and it's the same with
14 CO2, and it's the same with water.

15 If we adopt a goal of putting 60 percent in the
16 ground and we've put 65 percent and we've got 5
17 percent leakage, we've still got our 60 percent.

18 There is an economic basis that's going to come
19 here. We're talking about massive scale
20 sequestration versus anything that's been done in
21 the past. So the studying of it, the monitoring of
22 it seems to me to be critical, but we are talking
23 about CO2, which is all around us, and we're talking
24 about making our CO2 environment much better than if
25 we don't do something.

0212

1 MR. BEYER: Okay. We're kind of hitting the
2 end here. I'm going to give the commissioners a
3 chance for parting comments.

4 Commissioner Oshie?

5 MR. OSHIE: Just to add a brief -- briefly to
6 what President Peevey said. You know, this is an
7 opportunity I think that we had taken. As I
8 mentioned earlier, the energy foundation was really
9 central to the three commissions getting together,
10 and this has really grown to a much larger
11 gathering, a much broader covering of the subject
12 matters than we eventually envisioned.

13 But we'll look, I think, to the future to
14 having the three commissions continue to work
15 together, and whether we get to some kind of a
16 uniform policy with regard to greenhouse gases, I
17 don't know, because in the large respect, it
18 doesn't really reside within the commission so much
19 as it resides with the governors' offices, but
20 we'll see where we go, but I look forward to the
21 opportunity to continue to work with California and
22 with Oregon, and we hopefully will be back here
23 again before too long either addressing other
24 subject matters of equal importance. So thank you
25 very much.

0213

1 MR. BEYER: Ms. Grueneich?

2 MS. GRUENEICH: Thank you. I want to say that
3 for me this has been a very useful day in learning
4 a great deal about this area and also just getting
5 to know my fellow commissioners better. That alone
6 has been extremely worthwhile. So I, too, want to
7 join in that. My hope is that at least annually we
8 can have this type of three-commission meeting on
9 whatever topics in the world of energy are of
10 importance to us, and I am interested in seeing if
11 there are ways that we can put together a common
12 document that at least talks about areas where we
13 have common policies among the three states and the
14 three-state commissions. Our ways of implementing
15 them may be different, but I think that it will be
16 useful for the public to understand where we do

17 have common areas, because as we all know, in the
18 West energy, electricity -- our grids are
19 interconnected, and it seems to me that this is a
20 great service that we could provide.

21 The last thing that I'll end with -- and some
22 of you have heard me say this before -- that I'm a
23 mom. I have two 12-year-olds, and I am not
24 interested in leaving them a world in which they
25 are going to have to make very, very significant

0214

1 sacrifices because I personally wasn't willing to
2 step up to the plate.

3 And I was appointed by Governor Schwarzenegger
4 last year. I was given what I consider a
5 tremendous opportunity in the area of energy policy
6 and in this critical area of climate change to make
7 decisions, and I want to be able to look my
8 children in the eye and say, "I made the right
9 decisions for them and for their peers," and so I
10 join with President Peevey in stating we are very
11 serious about taking whatever steps we can to
12 address climate change. It's an area we have to
13 deal with now. That's what our governor has said,
14 and we will deal with it vigorously. So we look
15 forward to everybody helping us understand how we
16 do that, but we have a very, very strong commitment
17 to move forward in this area.

18 MR. BEYER: Commissioner Baum?

19 MR. BAUM: (Commissioner shakes head.)

20 MR. BEYER: Commissioner Byrne.

21 MS. BYRNES: I don't know. I want to thank you
22 all for inviting me to this dais today, and
23 speaking from Wyoming, I know that we look for
24 collaboration and partnerships with filling the
25 needs of energy responsibly, and I know

0215

1 Governor Freudenthal has said that along the way in
2 some agreements, and I suppose we'll see something
3 come out of the Western Governors Association.

4 And I share also with Dian my personal beliefs
5 is that I have two young children, and I feel the
6 very same way. We are very responsible for what
7 goes on in this world, and thank you all very much.

8 MR. BEYER: Commissioner Savage?

9 MR. SAVAGE: Yeah, I have three things to say:
10 One, I hope you got something out of this today.
11 You know, when we first envisioned this, I had --
12 you know, how you envision this coming up -- when
13 we first came up with this idea and how it actually
14 comes off, it's completely different. So I hope
15 that you got something out of this. I want to
16 thank our panelists. I thought we had an excellent
17 group of panelists.

18 (Applause)

19 MR. SAVAGE: Second, I have an old child, much
20 older than Dian, and we must act on climate change.
21 There's just no ifs, ands or buts about that.

22 Third, I commit -- and I can't say -- I will
23 commit that we will generate a shared action plan
24 for the three West Coast commissions to address
25 climate change.

0216

1 And, second, I hope this is -- I really want to
2 set up another one of these three-commission or
3 multi-commission issue meetings very quickly. I
4 got so much out of this. So thank you all.

5 MR. BEYER: Well, that brings us to the close.
6 I hope that this was worthwhile for all of you, and
7 thank you all for coming. It was a little bit,
8 this afternoon particularly, like drinking out of
9 the proverbial fire hose. It was a lot to digest.

10 Again, I would like to thank all the panelists
11 for coming out and helping us understand this. It
12 was very informative. We'll try to do the best we
13 can with all the information provided.

14 So thank you all, and have a good return trip
15 home, wherever that is.

16

17

(Concluded at 4:38 p.m.)

18

19

20

21

22

23

24

25